

OFFSHORE HELICOPTER SAFETY INQUIRY

June 29, 2010

Tara Place, Suite 213, 31 Peet Street

St. John's, NL

June 29, 2010

PRESENT:

John F. Roil, Q.C./

Anne Fagan.....Inquiry Counsel

Amy Crosbie/ Canada-Newfoundland and Labrador Offshore

John Andrews Petroleum Board (C-NLOPB)

Ian Wallace/ Hibernia Management and

Cecily Strickland..... Development Company (HMDC)

D. Blair Pritchett Suncor (Petro-Canada)

Stephanie Hickman.. Husky Oil Operations Ltd.

Nick Schultz Canadian Association of Petroleum Producers (CAPP)

Geoffrey Spencer..... Helly Hansen Canada Ltd.

Rolf Pritchard/..... Government of Newfoundland and Labrador

Laura Brown Laengle

Jack Harris, Q.C., Member of Parliament (Self-Represented)

Kevin Stamp, Q.C. Cougar Helicopters Inc.

Jamie Martin.....Families of Deceased Passengers

Kate O'Brien.....Davis Estate (Pilot) and

.....Agent on behalf of Douglas A. Latto for Lanouette Estate (Co-pilot)

V. Randell J. Earle, Q.C. Communications, Energy and Paperworkers Union

..... Local 2121

Karen Hollett/

David F. Hurley, Q.C. Offshore Safety and Survival Centre, Marine Institute

TABLE OF CONTENTS
June 29, 2010

DR. SUSAN ROSEMARY KATHERINE COLESHAW (AFFIRMED)

Examination by John Roil, Q.C. (cont'd)	Pgs. 1 - 64
Examination by Jack Harris, Q.C.....	Pgs. 64 – 67
Examination by V. Randell J. Earle, Q.C.....	Pgs. 67 – 100
Examination by Jamie Martin.....	Pgs. 100 – 111
Examination by Kate O'Brien.....	Pgs. 111 – 136
Examination by Amy Crosbie	Pgs. 136 – 139
Examination by Geoffrey Spencer	Pgs. 139 – 148

MR. MICHAEL TABER (AFFIRMED)

Examination by John Roil, Q.C.	Pgs. 148 – 255
Examination by Jack Harris, Q.C.....	Pgs. 255 – 268
Examination by V. Randell J. Earle, Q.C.....	Pgs. 268 – 283

MR. JAKOBUS JOHANNES GERBER (AFFIRMED)

Examination by Kevin Stamp, Q.C.....	Pgs. 283 – 298
Examination by Kate O'Brien.....	Pges. 298 – 306

MR. MICHAEL TABER (CONT'D)

Examination by Kate O'Brien.....	Pgs. 307 – 318
Discussion	Pgs. 318 – 319
Certificate	Pg. 320

Page 1

1 June 29, 2010
 2 COMMISSIONER:
 3 Q. Good morning, ladies and gentlemen. Good
 4 morning, Dr. Coleshaw.
 5 DR. COLESHAW:
 6 A. Good morning.
 7 COMMISSIONER:
 8 Q. Ready, Mr. Roil?
 9 DR. SUSAN COLESHAW, EXAMINATION BY JOHN ROIL, Q.C.
 10 (CONT'D)
 11 ROIL, Q.C.:
 12 Q. Thank you, Commissioner. We are indeed ready.
 13 We've just about finished issue number one
 14 from yesterday's evidence, but there was a
 15 couple of -- or there are a couple of
 16 housekeeping items. Apparently we have
 17 spouses who watch these things and Dr.
 18 Coleshaw's spouse reported that she may have
 19 misspoke yesterday, so I don't know if she
 20 wants to clarify something about observing
 21 water and/or bubbles coming out of suits when
 22 underwater.
 23 DR. COLESHAW:
 24 A. That's right. Apparently when I was talking
 25 about the buoyancy inside the helicopter

Page 2

1 escape trainer, I talked about water coming
 2 out of the suit and in fact, I should have
 3 said air bubbles coming out of the suit, so I
 4 hope there's no misunderstanding.
 5 ROIL, Q.C.:
 6 Q. I think this was in the context of you saying
 7 you've watched film footage of the actual HUET
 8 procedure?
 9 DR. COLESHAW:
 10 A. Yeah, and as the individual goes under the
 11 water, you can actually see air escaping from
 12 around the sides of the hood.
 13 ROIL, Q.C.:
 14 Q. Right, which would allow air out and possibly
 15 allow water in?
 16 DR. COLESHAW:
 17 A. It means that the worst problem with buoyancy
 18 is in the first few seconds and that it will
 19 improve slightly the longer that you're
 20 underwater because some of the air has
 21 escaped.
 22 ROIL, Q.C.:
 23 Q. Okay. Well, hopefully the television stations
 24 or the red is on in England today and he will
 25 pick up that correction.

Page 3

1 COMMISSIONER:
 2 Q. I wonder if he's watching this morning.
 3 DR. COLESHAW:
 4 A. He could well be.
 5 ROIL, Q.C.:
 6 Q. The third question that was in issue number
 7 one for you says -- the question was put
 8 should the C-NLOPB require guidelines to
 9 ensure such equipment is properly fitted, and
 10 I guess the question that was more properly to
 11 you is, is it appropriate that a regulator, I
 12 think whether or not the C-NLOPB does it is
 13 perhaps a question that the Commissioner will
 14 have to grapple with, but to put it more
 15 generically, the fitting, the appropriate
 16 fitting, the way that these things all work
 17 together, is that the kind of thing that a
 18 regulator should be engaged in in seeing or
 19 ensuring happens?
 20 DR. COLESHAW:
 21 A. I think so, yes.
 22 ROIL, Q.C.:
 23 Q. Okay. The second issue then that we had on
 24 our list was should the C-NLOPB or in this
 25 case to you perhaps, a regulator, more

Page 4

1 directly involve itself in studies and
 2 research into the prevention of inversion of
 3 ditched helicopters and the enhancement of
 4 passengers' ability to escape, and I think
 5 this is issue number two and on your slide
 6 presentation, it is at page 11. Okay.
 7 Whenever you're ready, you can proceed with
 8 what you want to tell us about this issue.
 9 DR. COLESHAW:
 10 A. Okay. What I'll be focusing on is research
 11 that's been undertaken or instigated primarily
 12 by the UK Civil Aviation Authority looking at
 13 helicopter stability, floatation and the
 14 prevention of capsize or prevention of
 15 inversion.
 16 ROIL, Q.C.:
 17 Q. Inversion is the 180 rotation, so that the
 18 propellers are on the bottom?
 19 DR. COLESHAW:
 20 A. What you'd expect at present, that if a
 21 helicopter does turn, it's going to turn
 22 completely over to a 180 degree angle.
 23 ROIL, Q.C.:
 24 Q. Okay. So to look at the pictures that are in
 25 front of us, the bottom photograph would show

Page 5

1 a fully inverted helicopter?
 2 DR. COLESHAW:
 3 A. That's a fully inverted helicopter.
 4 ROIL, Q.C.:
 5 Q. And this is something that is trying to be
 6 avoided?
 7 DR. COLESHAW:
 8 A. Yes, certainly, and the ethos of that is that
 9 if you can prevent complete inversion and keep
 10 an air gap within the cabin of the helicopter,
 11 then that's going to enhance occupant escape
 12 and going to make it much more simple for
 13 occupants to escape and not have to spend as
 14 much time with their heads underwater. That
 15 is obviously dependent on the capabilities of
 16 helicopters, the fact that they've got a very
 17 limited range of stability and particularly
 18 breaking waves are a major hazard. It's
 19 breaking waves that are most likely to turn a
 20 helicopter over.
 21 ROIL, Q.C.:
 22 Q. And breaking waves are associated with sea
 23 state generally?
 24 DR. COLESHAW:
 25 A. Sea states. Helicopters are required to have

Page 6

1 ditching capability, so have to have measures
 2 as to the sea states in which they are capable
 3 of remaining stable in an upright position
 4 without inversion, and the upper practical
 5 limit is thought to be around probably sea
 6 state five, though ideally they should have
 7 capability up to sea state six, if you
 8 consider the weather conditions flying out to
 9 installations certainly some in the North Sea,
 10 some rigs in the North Sea, I suspect here in
 11 Canada, and I think again if you look at the
 12 pictures on the slide 11, the top picture is
 13 of a controlled ditching in fairly calm seas.
 14 The second one was a ditching that occurred in
 15 seas that were up to about sea state six. So
 16 these are wave heights of about six metres.
 17 This helicopter stayed afloat for several
 18 hours after the occupants had escaped, then
 19 capsized.
 20 ROIL, Q.C.:
 21 Q. Just so that we look at things like brands and
 22 whether they make a difference, what kind of
 23 helicopter is the top photograph?
 24 DR. COLESHAW:
 25 A. The top is a Bell 214. The middle one is a

Page 7

1 Super Puma, I think the L2, and the inverted
 2 one, which you don't see much of, is an EC225.
 3 ROIL, Q.C.:
 4 Q. Which is also a Super Puma or of the same
 5 generation?
 6 DR. COLESHAW:
 7 A. Yes, it's the latest generation of Super Puma.
 8 ROIL, Q.C.:
 9 Q. So all brands are capable of capsizing, given
 10 various circumstances, including most
 11 especially sea state?
 12 DR. COLESHAW:
 13 A. Yes, I mean, all helicopters are inherently
 14 unstable due to the fact that the weight is
 15 very high up and they've got a very high
 16 centre of gravity.
 17 ROIL, Q.C.:
 18 Q. Okay. So is anything being done to try to
 19 assist in this pursuit of keeping it afloat or
 20 upright or at least not fully inverted?
 21 DR. COLESHAW:
 22 A. Well, there's been a research program that's
 23 been ongoing since the mid 1980s. If you go
 24 to the next slide, there's a little bit of a
 25 background to that. I think I've covered the

Page 8

1 first point here that the research focuses
 2 primarily on the ditching of helicopters and
 3 by this we're defining ditching as a
 4 controlled landing on water, though we'll see
 5 capability for that means that there is some
 6 improvement in capabilities in terms of
 7 crashes, but there's been less work done on
 8 the high impact crash scenarios.
 9 The background to the work started with
 10 the HARP Report, which is the Helicopter
 11 Airworthiness Review Panel, who reported on
 12 these issues back in 1984 and some of the
 13 recommendations they made, they identified the
 14 need to improve both crash worthiness and the
 15 stability of helicopters. So that was the
 16 report that really started off the research
 17 program. That was followed in 1995 by the
 18 RHOSS Report, which is a review of helicopter
 19 offshore safety and survival, and that was
 20 following the helicopter accident close to the
 21 Cormorant Alpha installation in the North Sea
 22 back in 1992, and again, they looked at these
 23 issues of floatation and emphasized the
 24 importance of a helicopter floatation systems,
 25 the need for a helicopter to stay afloat for

Page 9

1 long enough for passengers to get out and I
 2 think they were one of the first to talk about
 3 having additional floatation that would
 4 provide redundancy if one of the standard
 5 floatation bags was damaged by the high
 6 impact, that you'd have additional floatation
 7 that could then provide the support required.
 8 One of the other things that occurred in
 9 2000, one of the later ones, was a workshop on
 10 emergency breathing systems and that was where
 11 there was a big debate and then recognition of
 12 this mishmash we talked about yesterday, in
 13 terms of the time needed to escape and the
 14 time that individuals are able to breath hold
 15 in cold water. So that's again the human
 16 factors aspect of the research program.
 17 ROIL, Q.C.:
 18 Q. Yes, so there's a need to keep the helicopter
 19 afloat or not totally submerged as long as
 20 possible because of the inability to breathe
 21 for very long underwater?
 22 DR. COLESHAW:
 23 A. But if it doesn't stay afloat or if you're in
 24 the position where -- pictures on the last
 25 slide where it has capsized, but it's still on

Page 10

1 the surface and then obviously emergency
 2 breathing systems are again going to enhance
 3 the possibility of subjects escaping.
 4 ROIL, Q.C.:
 5 Q. Right, okay. So what did that lead to?
 6 DR. COLESHAW:
 7 A. On the next slide, I just show that some of
 8 the areas that have been looked at in terms of
 9 stability -- have to say this is probably not
 10 my personal area of expertise, I'm not an
 11 engineer, but I just wanted to mention some of
 12 these as they're quite important, in terms of
 13 the overall research program that's been
 14 ongoing.
 15 ROIL, Q.C.:
 16 Q. So you don't design these features on the
 17 helicopter that would allow it to float high,
 18 low, on its side or whatever. You are
 19 concerned about what the consequences of that
 20 are for escaping?
 21 DR. COLESHAW:
 22 A. For the occupants, yes, yeah.
 23 ROIL, Q.C.:
 24 Q. Understood.
 25 DR. COLESHAW:

Page 11

1 A. Some of the things that have been looked at,
 2 first one I've got is sea anchors and I think
 3 it was BMT that felt that they were something
 4 worth looking at. They'd observed that
 5 helicopters that are nose into the waves or
 6 into the wind and are more stable and less
 7 likely to capsize and so they looked at the
 8 option of would a sea anchor position the
 9 helicopter in that position and therefore
 10 reduce capsize incident, but it was felt that
 11 they were rather difficult to deploy and take
 12 quite a long time to deploy so perhaps it
 13 would be too long for them to be effective, so
 14 that wasn't taken any further.
 15 The second one was what are referred to
 16 here as a wet floor approach and this is work
 17 done by the British Hovercraft Company in
 18 fact, similar to, I think, to helicopters, and
 19 this was looking at positioning the floatation
 20 slightly higher up on the helicopter so that
 21 the floor of the helicopter would be
 22 underwater and thereby improving the stability
 23 and the helicopter then sits lower in the
 24 water.
 25 ROIL, Q.C.:

Page 12

1 Q. Yes.
 2 DR. COLESHAW:
 3 A. But they found very variable results, in terms
 4 of the effectiveness, dependent on the design
 5 of the helicopter and the weight of the
 6 helicopter. It also meant that there was a
 7 much greater risk of blade strike. So the
 8 rotor blades would be close to the water and
 9 again, that's something that can flip the
 10 helicopter over. So again, that was rejected
 11 as a sensible way forward.
 12 The final one which the parties feel has
 13 certainly got benefits to offer are float
 14 scoops. These are similar to scoops you get
 15 on a liferaft to improve stability, so
 16 effectively bags of water underneath the
 17 floatation and they reduce both roll damping
 18 in the water that a helicopter is less likely
 19 to roll in the water. If one set of floats
 20 lifts out of the water, it increases the -- I
 21 forgot my term -- basically, they're less
 22 likely -- it's going to bring it back down. I
 23 note it was considered that it would actually
 24 improve the ditching capability of a
 25 helicopter by one sea state, so that a

Page 13

1 helicopter that had been certified to have
 2 ditching capability in sea state four, it
 3 would improve its stability so that it was
 4 therefore capable of ditching capability in
 5 sea state five. So that's quite a significant
 6 change and was thought to be a relatively low
 7 cost and with very little extra weight on the
 8 helicopter.
 9 ROIL, Q.C.:
 10 Q. Is that research still ongoing? Are you aware
 11 of any current activity on it?
 12 DR. COLESHAW:
 13 A. I'm not aware of any current activity. I
 14 think it's something that our authority would
 15 like to see that being brought in, but one of
 16 the problems is that there are very few
 17 regulations in this area and it's not
 18 something that's regulated.
 19 ROIL, Q.C.:
 20 Q. Would this kind of equipment or facility,
 21 would that be, in your view, and again
 22 recognizing you're not an expert, is that an
 23 airworthiness thing that would have to be --
 24 the helicopter would have to be recertified if
 25 something like this was added to it, or do you

Page 14

1 know?
 2 DR. COLESHAW:
 3 A. I'm assuming it would come with certification
 4 if there's something that's -- I couldn't
 5 really answer that.
 6 ROIL, Q.C.:
 7 Q. Okay, fair ball. Okay, but there's another
 8 idea that's out there floating around, we
 9 understand. Pardon the pun in floating
 10 around.
 11 DR. COLESHAW:
 12 A. That's right, and this is looking at -- work
 13 that's been done looking at the prevention of
 14 complete inversion. This is work by -- or
 15 conducted by BMT fluid mechanics on behalf of
 16 the Civil Aviation Authority back in 1997 and
 17 they were looking at novel floatation systems,
 18 but this is looking at additional floatation
 19 over and above the existing emergency
 20 floatation that's on helicopters at present,
 21 and they looked at various configurations of
 22 this additional floatation. So one option was
 23 to put inherent buoyancy around the engine
 24 cowling, so high up on the helicopter.
 25 Another was to put long floatation bags along

Page 15

1 the side of the helicopter and you can see
 2 that in the second photograph on my slide. So
 3 the engine cowling, you can see is the orange
 4 area on the top model. The third one was
 5 actually to have some tethered buoyancy bags
 6 just floating at the side of the helicopter,
 7 but that was rejected as not working at all.
 8 So they basically conducted model tests in a
 9 wave tank with these different configurations
 10 to see whether they could prevent complete
 11 inversion.
 12 ROIL, Q.C.:
 13 Q. So rather than keep it upright, it allows it
 14 to fall to the side, but the object is to stop
 15 it from doing a complete 180 inversion?
 16 DR. COLESHAW:
 17 A. Yes, and effectively end up on its side with
 18 one set of exits above the water surface -
 19 ROIL, Q.C.:
 20 Q. Yes.
 21 DR. COLESHAW:
 22 A. - and an air gap within the cabin and be
 23 stable in that position. One of the issues,
 24 in some of the configurations, they were
 25 getting a double capsizes. So the helicopter

Page 16

1 would turn part way and then if another large
 2 wave hit the helicopter, it would turn again
 3 and do a double roll, which was seen as
 4 something they didn't want. So the preferred
 5 configuration that they came up with was to
 6 have a combination of the inherent engine
 7 cowling and one long floatation bag down one
 8 side of the helicopter and that asymmetry
 9 meant that it turned once and then was stable
 10 in that position.
 11 ROIL, Q.C.:
 12 Q. The look of these photographs here, it would
 13 appear that these are actually models, not
 14 actual helicopters.
 15 DR. COLESHAW:
 16 A. Yes, they're all scale models.
 17 ROIL, Q.C.:
 18 Q. Right, okay. Has the research gone to test
 19 this on actual models or is it still in the
 20 scale model -- real helicopter -
 21 DR. COLESHAW:
 22 A. So far it's all been scale, scale model.
 23 ROIL, Q.C.:
 24 Q. Scale model work, okay. But from your
 25 perspective, this is considered to be a

Page 17

1 desirable objective, to have one set of exits
 2 above the water and to have some sort of an
 3 air space within the helicopter cabin?
 4 DR. COLESHAW:
 5 A. Certainly, and it also -- this is this
 6 additional floatation, so it added some crash
 7 worthiness as well in that you've got this
 8 redundancy of buoyancy. If you're adding
 9 extra floatation high up on the cabin, it's
 10 less likely to be damaged in a crash.
 11 ROIL, Q.C.:
 12 Q. So as a result of this, was there any work
 13 actually done to see what the human factors
 14 issues were?
 15 DR. COLESHAW:
 16 A. Well, this is moving on to slide 15. This is
 17 where I became involved in the research
 18 program. I was working at RGIT at that time
 19 and we were commissioned to look at the human
 20 factors of escape from a side floating
 21 helicopter. So this was looking at a
 22 helicopter that had turned to an angle of 150
 23 degrees and that was to the side-floating
 24 attitude. So instead of turning the full 180
 25 degrees, turned part way to 150. And we were

Page 18

1 comparing that with the full 180 degree
 2 inversion. It was a comparative study.
 3 We started off just looking at
 4 configuration and seeing at what level we felt
 5 -- and this was done with a helicopter
 6 simulator of the type that's used for
 7 training.
 8 ROIL, Q.C.:
 9 Q. The so-called HUET.
 10 DR. COLESHAW:
 11 A. A so-called HUET, and my picture on the right
 12 shows the HUET used at RGIT. You can see
 13 we've added some floatation bags just to mock
 14 up the long floatation bag on the upper cabin
 15 wall. Just some initial trials using
 16 experienced training officers as our test
 17 subjects to start with. We felt that the
 18 ideal position was the helicopter floating at
 19 a level where the top of the exits in fact are
 20 close to the water. We didn't want people
 21 having to climb up to exits to have to get
 22 out. So that's what you can see there in the
 23 picture with somebody escaping from the air
 24 gap out through one of these windows. On the
 25 left, you see the air gap within the cabin.

Page 19

1 Now some issues there in terms of the
 2 position of occupants within the cabin. It's
 3 possible that some will still have their heads
 4 underwater when it's in this side-floating
 5 attitude, but on releasing the harness, they
 6 can just come up into the air gap and at least
 7 then, they have the time to locate the exit
 8 and decide which way they're going before
 9 having to actually make the escape from the
 10 helicopter cabin.
 11 ROIL, Q.C.:
 12 Q. So this study was done comparing the results
 13 with a fully inverted HUET training device and
 14 one that is sitting at 150 degrees over with a
 15 partial amount of air within the -
 16 DR. COLESHAW:
 17 A. Once we looked at the feasibility of it and
 18 had a look at what were the issues of having
 19 it in his attitude, we then went on to do
 20 trials with naive subjects and those trials,
 21 they all did comparative trials, so yes, with
 22 the 180-degree full inversion, having to do
 23 underwater -- a standard underwater escape,
 24 and that was compared with trials where they
 25 did the 150-degree capsized, coming into the

Page 20

1 air gap and then making the above water escape
 2 from the helicopter cabin.
 3 ROIL, Q.C.:
 4 Q. Okay, and what were the findings as a result
 5 of that research?
 6 DR. COLESHAW:
 7 A. I think probably the most significant one for
 8 me was we measured the submersion times, and
 9 this is really looking at the time that
 10 occupants would have to breath hold if they're
 11 escaping from a helicopter at this floatation
 12 attitude, and we did various escape exercises.
 13 So I think the most interesting one were the
 14 cross cabin, where the person is sitting on
 15 one side of the helicopter and having to
 16 escape through an exit on the opposite side.
 17 With the side-floating scenario, the average
 18 time that the head was underwater was 9.5
 19 seconds. With the full inversion and having
 20 to do the underwater escape, that time was, on
 21 average, 20 seconds. So a significant
 22 reduction in the time that the heads were
 23 underwater effectively, so significant
 24 reduction in breath hold time.
 25 ROIL, Q.C.:

Page 21

1 Q. It cut the breath hold time literally in half?
 2 DR. COLESHAW:
 3 A. Yeah.
 4 ROIL, Q.C.:
 5 Q. Okay. What other findings did you have?
 6 DR. COLESHAW:
 7 A. Well, we asked the subjects to fill in a whole
 8 range of questionnaires. So there was a lot
 9 of data created, but basically some of the
 10 simple questions that were asked were things
 11 such as the difficulty of making the escape
 12 from the helicopter cabin and 89 percent found
 13 the underwater escape to be moderately or very
 14 difficult, whereas only 29 percent of subjects
 15 found escape from the side-floating cabin to
 16 be moderate or very difficult. So not all
 17 still saying it's simple, but there's a big
 18 reduction in those that are finding it very
 19 difficult and tying in with that when we asked
 20 them overall what their preference was
 21 escaping, you know, doing a standard
 22 underwater escape or escaping from the side-
 23 floating cabin, then 90 percent of subjects
 24 preferred the side-floating attitude.
 25 ROIL, Q.C.:

Page 22

1 Q. This was not surprising to you or was it
 2 surprising to you?
 3 DR. COLESHAW:
 4 A. I think not surprising. There was much less
 5 disorientation felt and asked them questions
 6 about "how easy was it to locate the exit?"
 7 It wasn't really an issue in the side floating
 8 because by that time, they were in the air gap
 9 and you then got time to find the exit. So
 10 basically a very positive result in terms of
 11 the human factor side. There were some issues
 12 remaining that haven't been resolved as yet.
 13 One was potential loading on the harness.
 14 Some of the people will actually be almost
 15 suspended a little above the water and so
 16 there's concerns as to whether the harness
 17 would release correctly, and that's an area
 18 that still needs a bit more work. But I think
 19 that's something that can be improved upon to
 20 resolve that.
 21 ROIL, Q.C.:
 22 Q. Sure. So has anything else happened in the
 23 area of research with respect to floatation on
 24 helicopter airframes?
 25 DR. COLESHAW:

Page 23

1 A. We have to jump forward now to the last few
 2 years.
 3 ROIL, Q.C.:
 4 Q. Sorry, this study that you did was in 2001?
 5 DR. COLESHAW:
 6 A. Published in 2001, is it? I think. Yes,
 7 2001.
 8 ROIL, Q.C.:
 9 Q. Yes.
 10 DR. COLESHAW:
 11 A. So there's been a little bit of a gap in terms
 12 of moving the research forward and during that
 13 period, responsibility for the research
 14 program was transferred from the UK Civil
 15 Aviation Authority to the newly established
 16 European Aviation Safety Agency. So of
 17 course, that has, for obvious reasons, slowed
 18 some of this down. But they finally, I think
 19 in 2008, put a contract out to tender to look
 20 at a type specific design study. So this is
 21 another model study, but looking at specific
 22 designs of helicopter. So the early work by
 23 BMT was just on a generic helicopter.
 24 ROIL, Q.C.:
 25 Q. So this is taking the actual weight and

Page 24

1 characteristics of a particular model and
 2 saying now -
 3 DR. COLESHAW:
 4 A. Yeah.
 5 ROIL, Q.C.:
 6 Q. - or a particular helicopter, bringing it to a
 7 model and saying "now what happens?"
 8 DR. COLESHAW:
 9 A. Yes, so modelling the weight of that
 10 helicopter, the design of it and where you
 11 could actually put floatation on that
 12 particular design of helicopter, they were all
 13 sort of factors involved. The process that
 14 they looked at was both a light helicopter,
 15 the AS355, and a heavy helicopter, the EC225.
 16 So that's the one we saw earlier that is used
 17 for offshore passenger transport.
 18 ROIL, Q.C.:
 19 Q. Yes.
 20 DR. COLESHAW:
 21 A. And again, they did model studies in waves
 22 with the EC225. They quite reassuringly came
 23 up with similar results in terms of being able
 24 to create a stable floatation position at an
 25 angle of between 150 and 160 degrees. So the

Page 25

1 earlier work had come up with a figure that
 2 was pretty close to the modelled floatation
 3 attitude. Their preferred option was again
 4 using a buoyant engine cowling, but they
 5 preferred having long floatation bags on both
 6 sides of the upper cabin of the helicopter.
 7 So rather than the asymmetric design, they
 8 were able to get stable floatation without
 9 this double capsized scenario we talked about
 10 with additional floatation on both sides of
 11 the cabin. It's partly to do with the amount
 12 of floatation. With small floatation bags,
 13 they couldn't achieve that stability. But
 14 with sufficient buoyancy within those upper
 15 floatation bags, they were able to achieve
 16 stability in waves and that was a
 17 configuration which again gave them the
 18 largest air gap within the cabin for the
 19 passengers allowing them to potentially escape
 20 from the cabin.
 21 ROIL, Q.C.:
 22 Q. Now we, in this jurisdiction, happen to, at
 23 this point in time, use a piece of equipment
 24 called the Sikorsky S92A, I believe.
 25 DR. COLESHAW:

Page 26

1 A. Um-hm.
 2 ROIL, Q.C.:
 3 Q. Are you aware of any particular research that
 4 relates to that particular model?
 5 DR. COLESHAW:
 6 A. Not that I'm aware of, no.
 7 ROIL, Q.C.:
 8 Q. So there may be, but you're simply not aware
 9 of it?
 10 DR. COLESHAW:
 11 A. Yeah, and I mean, this is relatively recent
 12 work, so I suspect I would have heard about it
 13 if there had been some work on this particular
 14 topic done within that area.
 15 ROIL, Q.C.:
 16 Q. Okay. Is there any other research going on
 17 that we should be aware of, in terms of
 18 helicopter airframes, crash worthiness and so
 19 on?
 20 DR. COLESHAW:
 21 A. Well, most of this is focused on the
 22 controlled ditching scenario and some work has
 23 been done on the crash worthiness. There's a
 24 report that I know you will be familiar with
 25 by Clifford back in 1996, which was in two

Page 27

1 parts. Part of it was looking at different
 2 types of water impact and I referred to some
 3 of that data yesterday where I was splitting
 4 it down or he split it down into controlled
 5 ditchings, vertical descent so limited
 6 control, fly ins and uncontrolled impacts, and
 7 he was looking at fatality rates and the
 8 findings were that drowning was the highest
 9 cause of fatality in many of those accidents.
 10 They also looked at the airworthiness of
 11 the airframe and felt that additional
 12 floatation was something that would improve
 13 crash worthiness.
 14 ROIL, Q.C.:
 15 Q. So even in a very heavy impact, additional
 16 floatation is considered as a desirable
 17 feature?
 18 DR. COLESHAW:
 19 A. Or particularly if it's high up on the
 20 helicopter, so it's this thing of where you
 21 put the floatation. The current floatation is
 22 low down on the aircraft so in the event of a
 23 crash into water, it's at the point where it's
 24 most likely to be damaged whereas if it's
 25 higher up, there's less risk of damage. The

Page 28

1 floatation low down takes a lot of the force
 2 and a lot of the problems are the forces on
 3 actually hitting the water and it would be
 4 quite difficult to improve the crash
 5 worthiness of the floatation bags sufficiently
 6 to prevent damage in certain scenarios.
 7 There were two further studies, one by
 8 W.S. Atkins, which again looked at air
 9 worthiness both of the airframe and of the
 10 floatation systems, and they recommended
 11 design modifications to improve crash
 12 worthiness of the floatation system. So seems
 13 to be a bit of a pattern here. They also
 14 recommended automatic arming and deployment of
 15 the floatation system. So that's the existing
 16 floating systems. One of the problems is if
 17 there's little warning of an impact, if the
 18 pilot has to arm and deploy the floatation
 19 systems, that might not happen. They might
 20 not have time to do it. So that's something
 21 that certainly in the UK, our offshore
 22 industry have voluntarily gone for automatic
 23 arming and deployment, though it's not within
 24 any airworthiness requirement at present.
 25 ROIL, Q.C.:

Page 29

1 Q. This research, is it generally under the
 2 auspices of the air regulator, like the EASA
 3 or the FAA in the United States or Transport
 4 Canada within Canada, or is it within the
 5 auspices of the industry and the regulator of
 6 the oil industry?
 7 DR. COLESHAW:
 8 A. Well, I think this demonstrates it's the two.
 9 That the regulation is coming from the
 10 authorities such as EASA and the FAA, but
 11 where there isn't regulation, a lot of the air
 12 worthiness regulations relate either to
 13 impacts on land, and that's where most of the
 14 crash worthiness requirements come from, or
 15 they relate to the controlled ditching
 16 scenario. But we don't have anything for
 17 crash worthiness, in terms of high impact with
 18 water.
 19 ROIL, Q.C.:
 20 Q. With water.
 21 DR. COLESHAW:
 22 A. So it's then the responsibility of -- it's
 23 then maybe industry look for certain
 24 performance that isn't regulated.
 25 ROIL, Q.C.:

Page 30

1 Q. And there's one other bit of research, I
 2 gather, that is ongoing now that you mentioned
 3 earlier in your evidence yesterday.
 4 DR. COLESHAW:
 5 A. This is the final bit in terms of the human
 6 factors side. I mentioned a workshop back in
 7 2000 where this was basically added into the
 8 program of research. I should say the report
 9 I mentioned, the RHOSS Report back in 1994, it
 10 actually recommended the EBS not be pursued at
 11 that time and that emphasis should be placed
 12 on the floatation, but because of this
 13 recognition and the time taken for the
 14 floatation research to progress, the CAA felt
 15 that perhaps in the meantime they should
 16 relook at emergency breathing systems because
 17 this recognition of the time needed to escape
 18 being greater than the breath hold time.
 19 So back in 2001, I was commissioned to
 20 look at the extent of knowledge in terms of
 21 EBS performance. So I looked at the
 22 development of various designs, particularly
 23 those that were being used in the UK, both in
 24 the military and civilian side. They were
 25 particularly interested in the balance between

Page 31

1 the benefits to the equipment and any
 2 potential safety, or if it is, safety
 3 disbenefits, disadvantages. Carried out a
 4 risk assessment looking at the issues of
 5 deployment in the helicopter and then the
 6 final step of that was to provide the basis
 7 for a technical standard for the approval of
 8 such equipment. I think I covered here some
 9 of the requirements that are being covered.
 10 But at that time, that was just published
 11 within the CAA report as an example draft
 12 standard. It wasn't completed because there
 13 were certain areas of performance where we
 14 didn't have sufficient data to be able to set
 15 pass fail criteria.
 16 Again, that wasn't taken forward at that
 17 time, partly due to some people that again
 18 felt there were certain disbenefits and there
 19 wasn't value but some years on, 2008, I was
 20 then asked to actually complete the technical
 21 standard. So that is work that's currently
 22 ongoing. We've been doing performance trials
 23 in both relatively warm water, so using a
 24 training pool, similar to that used for the
 25 offshore survival training. But we've also

Page 32

1 done some cold water performance trials with
 2 the help of the University of Portsmouth and
 3 Professor Tipton's team.
 4 We've looked at issues of the time taken
 5 to deploy the EBS in inversion helicopter
 6 escape, so looking at a whole raft of
 7 performance criteria. So I'm currently in the
 8 process of writing up that report. The
 9 technical standard will be completed. That
 10 will be published by the CAA, but the
 11 intention is then to submit that, still be
 12 seen as a draft standard to EASA for possible
 13 development as a ETSA, which is the European
 14 Technical Standard. So that will hopefully be
 15 happening later this year.
 16 ROIL, Q.C.:
 17 Q. All of this research in relation to
 18 floatation, crash worthiness, again human
 19 issues, EBS, things that all impact one
 20 another, the longer you keep it afloat, the
 21 less you need the EBS, the earlier it sinks,
 22 the quicker you need it, all of that research
 23 is going on, from your perspective, in the
 24 United Kingdom. The question that the
 25 Commissioner has posed is should our local

Page 33

1 regulator be engaged in that. What is the
 2 extent of international cooperation on these
 3 kinds of studies? Is there a formal process
 4 whereby people get invited or do you have to
 5 express an interest? How can you help him
 6 grapple with the issue of whether or not the
 7 C-NLOPB here, as the regulator of the
 8 industry, safety within the industry, should
 9 or should not or can or cannot get involved in
 10 monitoring or even participating in that kind
 11 of research?

12 DR. COLESHAW:
 13 A. Well, I certainly know from speaking to the UK
 14 CAA that they would be very pleased to have
 15 support of others for these scheme. The more
 16 interest the better because they're wanting to
 17 push it forwards. Certainly in terms of
 18 international involvement, there are various
 19 committees where this work has been discussed
 20 and that's not been just the UK, that has been
 21 bringing in over -- certainly over European
 22 bodies. There are certainly meetings held
 23 with CAA and FAA. I went to a meeting
 24 following the -- actually, I think following
 25 the side-floating work, so that was probably

Page 34

1 the early 2000, which involved the FAA. So
 2 again, the FAA is certainly aware of the work
 3 and I think, yeah, the more involvement of
 4 others, the more -- the greater the likelihood
 5 that we'll actually get some progress, because
 6 I think the biggest problem is converting
 7 research to implementation and there's got to
 8 be a will to implement some of these
 9 proposals.

10 ROIL, Q.C.:
 11 Q. And we have seen in earlier evidence that the
 12 lag time or the development time can be as
 13 much as ten years for -

14 DR. COLESHAW:
 15 A. Yeah.

16 ROIL, Q.C.:
 17 Q. - in our case, for the EBS to be introduced.
 18 We call it the HUEBA, but it's a part of the
 19 EBS world. Is it typical that this research
 20 does tend to take a lot of time or does it
 21 depend on the issue? Some of it is fast or
 22 some of it's not faster?

23 DR. COLESHAW:
 24 A. I think it's fairly typical. This particular
 25 program, I think there was very much a slowing

Page 35

1 down five years back and that was partly
 2 because of this transfer of authority from the
 3 UK to Europe and that has slowed this
 4 particular project. But yes, there's always -
 5 - it's always disappointingly slow to move
 6 things forward, I think.

7 ROIL, Q.C.:
 8 Q. Okay. I think you had sort of a residual side
 9 which sort of gives an overview on all this
 10 research that you've now spoken about on issue
 11 number two.

12 DR. COLESHAW:
 13 A. That's right, yes. Just to go through this
 14 fairly quickly then, I think the overall
 15 conclusion is that the side-floating scheme is
 16 considered as the optimum solution to the
 17 current problems with inversion and passenger
 18 escape. In terms of feasibility, I did ask
 19 for a comment from the UK CAA and they have
 20 specifically stated that they are not aware of
 21 any unsurmountable problems that would render
 22 the side-floating scheme impractical or
 23 ineffective, at least for new build design
 24 helicopters. It's accepted that there could
 25 be greater problems in trying to retrofit

Page 36

1 existing helicopters and I think that doesn't
 2 really need explaining. It would be much
 3 easier to start afresh than to retrofit what's
 4 there. But yeah, they feel that those
 5 problems are not unsurmountable.

6 Because of the time taken, in the
 7 meantime, EBS provides a potential short term
 8 solution for post-capsize survival and that's
 9 pending availability of this floatation
 10 scheme. WE don't know how long it's going to
 11 be before that does take effect.

12 ROIL, Q.C.:
 13 Q. So short term may be many years?

14 DR. COLESHAW:
 15 A. Yes. So short term, for now, but it could be
 16 an intermediate or long term solution if we
 17 don't get progress in the other area. It
 18 doesn't necessarily mean that if we manage to
 19 achieve a situation where we have additional
 20 floatation that we'd stop using EBS. It may
 21 be that we decide to still carry it in case.
 22 There's still going to be situation where
 23 people find themselves underwater. But the
 24 importance of it as present is it's the only
 25 means of extending the time underwater to

Page 37

1 enhance escape possibility.
 2 Then the final point I've put down is
 3 just a note that we understand that EASA
 4 proposed to hold a workshop in 2011 to review
 5 all of the helicopter ditching and water
 6 impact requirements, look at the research
 7 material, but also look at advisory material.
 8 So that's something that we're hoping will
 9 actually take place and be the next step
 10 forward.
 11 ROIL, Q.C.:
 12 Q. Perhaps if you could undertake to let us know
 13 as that develops, that it does develop. If
 14 anybody in the room is interested in
 15 participating, obviously they would have to
 16 get in touch with the appropriate authority.
 17 DR. COLESHAW:
 18 A. Certainly (unintelligible) that would be
 19 through my links within the CAA, but I'm sure
 20 that would be possible.
 21 ROIL, Q.C.:
 22 Q. Thank you. Okay, issue number three which was
 23 posed to you, and I think that's all we need
 24 to say about issue number two. Issue number
 25 three is "what are the appropriate standards

Page 38

1 of helicopter safety training to ensure that
 2 the risk to passengers is as low as reasonably
 3 practicable, both during training and
 4 helicopter transport?" and I take it that you
 5 have some considerable exposure to the whole
 6 issue of helicopter training?
 7 DR. COLESHAW:
 8 A. Well, through having worked for a training
 9 organization, though not myself being involved
 10 in the training for some years and a lot of
 11 work I've done, trials work, is all done at
 12 the training centres. So it's given me some
 13 familiarity with the issues, in terms of
 14 training, and so really, I started by just
 15 looking at the value and a lot of people have
 16 tried to look at evidence for the benefits of
 17 HUET training and certainly the evidence we
 18 have suggests that it does significantly
 19 improve the chance of survival and so I think
 20 that's sort of our starting point before
 21 looking at what should be included within
 22 training.
 23 ROIL, Q.C.:
 24 Q. I think Mr. Taber, who follows you, will have
 25 some specific information on that very

Page 39

1 subject.
 2 DR. COLESHAW:
 3 A. Yes, certainly so, and he's closer to it than
 4 I am, I should say. But from my own point of
 5 view and my own experience, in terms of the
 6 research I've undertaken, I think we're
 7 looking at training that provides not only
 8 information about what people should expect in
 9 a helicopter underwater scenario, to provide
 10 them with practical training of the procedures
 11 that they have to undertake, but also help
 12 them to build coping strategies so that they
 13 can actually deal with this, what would be a
 14 very scary situation to be in and help them to
 15 reduce panic in the event of being exposed to
 16 a real emergency.
 17 I say this because of evidence that
 18 relates to how people behave in real
 19 emergencies and there is a whole set of
 20 behaviours that have been observed, most of
 21 them, you know, quite negative. The obvious
 22 ones are the fear and anxiety. A little bit
 23 of anxiety can be a good thing, it helps you
 24 to perform better, you know, a little bit of
 25 adrenaline. Too much and that can have a very

Page 40

1 negative effect, in terms of people's ability
 2 to perform and take correct actions. Panic is
 3 a term that's used a lot and has been
 4 described to me as people making very rapid
 5 reactions, but possibly inappropriate
 6 reactions. I think it's quite a good
 7 definition of what we mean by panic, and
 8 obviously that can be very negative.
 9 Disorientation, we've talked about. If you're
 10 turned upside down in water, perhaps in the
 11 dark, disorientation is a big problem and
 12 people need to -- you know, just if you've
 13 experienced it once, you're much more able to
 14 cope with it on re-exposure. Inaction or
 15 freezing in the event of emergency and
 16 certainly there's evidence from aircraft
 17 accidents and rail accidents that a
 18 proportion, it's thought to be between 10 and
 19 20 percent of people, will just sit in their
 20 seats and do nothing and not try and get out.
 21 So this is just a scenario of freezing. So
 22 all these things, if training can actually
 23 allow people to experience and then cope with
 24 those behaviours, then they're going to be
 25 better able to cope with a real emergency

Page 41

1 situation.

2 Moving on there, we've got a slide

3 looking at some of the other issues which have

4 been discussed at length over the years in

5 terms of training. The first one being the

6 fidelity or the realism of training, and

7 that's something that's open to debate is

8 about how far you take the realism. The

9 obvious benefits of having realistic training,

10 I think the most important thing actually is

11 the tasks that people undertake reflect tasks

12 that they should undertake in a real scenario.

13 So what I'm most interested in is that in

14 terms of sort of work through an impact

15 scenario. First thing certainly the Canadians

16 are actually going to have to think about is

17 putting the hood on and zipping up, locating

18 the exit, locating your harness, being able to

19 carry out all of those actions, releasing the

20 harness, operating any exit mechanisms. So

21 we're looking for training to provide an

22 experience of carrying out all of those

23 actions and in the correct order. So then

24 that becomes, you know, not automatic, but

25 you're going towards this people just carrying

Page 42

1 out actions in the correct sequence, then

2 they're going to have a better chance of

3 escaping in a real scenario.

4 ROIL, Q.C.:

5 Q. Just let me ask you by using some examples

6 where you are in terms of the fidelity issue,

7 and I would take it that fidelity could be

8 everything from the inside of the HUET being

9 the same colour as the inside of the

10 helicopter that you're flying on.

11 DR. COLESHAW:

12 A. Uh-hm.

13 ROIL, Q.C.:

14 Q. Would that be something that you would

15 consider to be important in terms of fidelity?

16 DR. COLESHAW:

17 A. Less important. I think the look is the least

18 important. There has been research to show

19 that that is less important than the

20 procedures and tasks. I think certainly in

21 terms of exits, we would like to see high

22 fidelity means of operation so that they're

23 carrying out correct action. You know, if

24 it's a lever action, there's a lever that's

25 close to reality. With harnesses, there's one

Page 43

1 type of seat harness; well, let's have a

2 realistic seat harness and have that

3 realistically represented within training.

4 That one is very easy to achieve, I think.

5 So, yes, I think exits should be realistic

6 size, but, no, I don't think they should

7 necessarily have to look exactly. It's less

8 important that they look exactly the same.

9 ROIL, Q.C.:

10 Q. So by a realistic size, you don't mean the

11 exactly the same dimensions by centimetres,

12 but something of the same general size and

13 configuration?

14 DR. COLESHAW:

15 A. Well, if you look at different helicopters,

16 there's quite a range of different specific

17 sizes if you get down to the centimetre level.

18 Emergency exits, there are minimum sizes that

19 are regulated. In fact, there aren't for the

20 escape windows that are used for the

21 underwater escape scenario, so it's only two

22 or three of the emergency exits that are again

23 regulated in terms of size, but you can look

24 at helicopters and they fall within the range.

25 So certainly the size of exits within the

Page 44

1 training simulator should be close to that

2 range of exit sizes. Now in the UK there's a

3 lot of different helicopters. People on

4 training will be flying in different

5 helicopters in the following week after

6 training. I think here they got much more

7 limited number of helicopters that are used,

8 so it's probably easier to get high fidelity

9 simulators because you can be much more

10 specific about this is the type of exit you

11 have to use in a real helicopter, let's mock

12 this up in the simulator.

13 ROIL, Q.C.:

14 Q. One of the things that I think we've heard

15 from the workforce is that they don't get

16 trained to be the in-board person as opposed

17 to the out-board person in the HUET training.

18 DR. COLESHAW:

19 A. Uh-hm.

20 ROIL, Q.C.:

21 Q. They sit in the actual helicopter. If there's

22 two seats, there's one by the window, there's

23 one by the aisle. Do you have any views on

24 the extent to which training can deal with

25 those kinds of variables?

Page 45

1 DR. COLESHAW:
 2 A. I think there's a number of issues there.
 3 When I first went to RGIT and did the
 4 training, in those days we had people sitting
 5 side by side. There was a large number of
 6 trainees within a helicopter simulator at one
 7 time, but they had problems with people being
 8 injured, that if you had somebody in the seat
 9 next to the window that was having problems,
 10 the person on the inside tried to get out
 11 first and they were getting a lot of injuries.
 12 So early 90s, early mid 90s, they switched to
 13 only having people in seats next to exits to
 14 improve the safety of the training, but that
 15 doesn't mean that people then don't experience
 16 this thing of being in a seat that won't
 17 necessarily be next to an exit. My view is
 18 that the standard training maybe will have to
 19 keep with the safest option, but I'd certainly
 20 like to see the option that people have a
 21 chance to do the cross cabin, not necessarily
 22 with somebody sitting on the inside, but
 23 certainly have the option of doing an escape
 24 from a different seat or doing cross cabin
 25 escapes.

Page 46

1 I think it's something that would make
 2 the recurrent further training more
 3 interesting because another problem we've got
 4 here is training frequency.
 5 ROIL, Q.C.:
 6 Q. Yes.
 7 DR. COLESHAW:
 8 A. One of the difficulties of bringing that down
 9 to improve training is that we have people
 10 who've been in the industry for 30 plus years
 11 that have retrained every three years, and
 12 they're fed up with doing the same training
 13 over and over again. So I think a little bit
 14 of flexibility and a few different training
 15 exercises could actually have quite a positive
 16 benefit if it could be incorporated within the
 17 organization of training.
 18 ROIL, Q.C.:
 19 Q. So the issue of safety in training is an
 20 ameliorating or a conditioning factor for the
 21 fidelity of the training? Is that what I
 22 should take from your evidence?
 23 DR. COLESHAW:
 24 A. I think there's a need to balance that, yes,
 25 and that ties in with the last factor I've got

Page 47

1 in my slide here in terms of stress and
 2 anxiety caused by training. The first
 3 research I undertook at RGIT was to look at
 4 the stress experience by people undergoing
 5 offshore emergency response training, and this
 6 was in response to the senior medical officer
 7 from one of the offshore companies who was
 8 very concerned about the stress experienced by
 9 some of his employees. So again there's a
 10 balancing act there between making training so
 11 stressful that people experience too much
 12 stress and they're not going to learn properly
 13 during the training. I think measures need to
 14 be taken to - I think there are specific
 15 measures that can be taken to reduce stress in
 16 that small group of people. It's possibly
 17 only 10 percent of the workforce who
 18 experience levels of stress that mean the
 19 don't get the most out of training, but I
 20 think there's got to be some awareness that
 21 the more realistic you make training, the more
 22 stress that can be caused, and you've at least
 23 got to manage that issues as part of training.
 24 ROIL, Q.C.:
 25 Q. One of the fidelity items that we didn't

Page 48

1 discuss but is perhaps now relevant in the
 2 context of stress and anxiety is the whole
 3 issue of the temperature of the water, and
 4 throughout this Inquiry we've heard some
 5 workers say we should really be trained in
 6 colder water so that we know what to expect,
 7 we should wear our suit in cold water, we
 8 should do some exercises on cold water. What
 9 does that do to the learning experience, in
 10 your opinion?
 11 DR. COLESHAW:
 12 A. I think if all training was done in cold
 13 water, it would have a pretty negative effect.
 14 My early research work was looking at the
 15 effects of cold on mental reasoning, ability
 16 to learn, and memory, and if you got somebody
 17 in very cold water, they find it very
 18 distracting. I think if you're doing training
 19 in that sort of scenario, they'd be thinking
 20 far more about how cold they were than about
 21 the actual procedures they were undertaking.
 22 Having said that, I think there is some
 23 value in people experiencing cold water and
 24 the real environment because I think a lot of
 25 our workforce don't really realize just how

Page 49

1 cold the water temperature is, and what it's
 2 like to be in the North Sea. We talked
 3 yesterday and today about clothing worn and
 4 the suits, and I think they realize the
 5 benefits of wearing warm clothing under their
 6 suit when they've experienced the reality of
 7 being immersed in sea temperatures. So I
 8 think an exercise that familiarizes people
 9 with that environment is good, but I would
 10 certainly prefer to see training in life raft
 11 boarding and things. I think they're going to
 12 learn more if that's in a controlled
 13 environment.
 14 ROIL, Q.C.:
 15 Q. In a more comfortable environment you will
 16 learn better. If you need to experience the
 17 effects of cold, that should be a separate
 18 exercise?
 19 DR. COLESHAW:
 20 A. Yes. I think some of the pools are actually
 21 too warm, but again it's getting a balance.
 22 ROIL, Q.C.:
 23 Q. I think we can move to the next slide.
 24 DR. COLESHAW:
 25 A. Okay, this is moving on to - just looked

Page 50

1 briefly at training standards. Again I'm sure
 2 Michael Taber is going to have a lot more to
 3 say about this, but my experience is primarily
 4 from the UK sector. In terms of what should
 5 be in standards, I think they certainly need
 6 to cover the various scenarios we've talked
 7 about, say, a controlled and dry evacuation
 8 into life raft, needs to look at submersion of
 9 a helicopter and obviously the event of
 10 capsizing and full immersion. Also these
 11 training standards are laid down by various
 12 organizations, such as OPITO, OLF.
 13 ROIL, Q.C.:
 14 Q. Sorry, OLF is an acronym we haven't used much.
 15 Who are OLF?
 16 DR. COLESHAW:
 17 A. That's a training organization responsible for
 18 training in Norway.
 19 ROIL, Q.C.:
 20 Q. So OPITO is in the UK?
 21 DR. COLESHAW:
 22 A. OPITO is UK based. There are courses
 23 worldwide. OLF in Norway. There's an
 24 organization called NOGEPa in Netherlands. So
 25 there are various training standards

Page 51

1 organizations who monitor what training is
 2 carried out.
 3 ROIL, Q.C.:
 4 Q. Including CAPP in Canada.
 5 DR. COLESHAW:
 6 A. That's right, and there's differences within
 7 those courses.
 8 ROIL, Q.C.:
 9 Q. So in your experience, the standards are not
 10 the same, or are the standards the same, but
 11 the interpretation is different?
 12 DR. COLESHAW:
 13 A. I think similar, but the interpretation, the
 14 number of exercises and various OPITO training
 15 differs to the training out here because we
 16 include EBS training, they do shallow water,
 17 do exits - underwater escape with the EBS in
 18 the helicopter simulator.
 19 ROIL, Q.C.:
 20 Q. With the EBS?
 21 DR. COLESHAW:
 22 A. That's one obvious difference.
 23 ROIL, Q.C.:
 24 Q. I'm sorry, but the EBS is not a compressed air
 25 device?

Page 52

1 DR. COLESHAW:
 2 A. That's right, yes. There's a good reason for
 3 why the training is different. With OPITO,
 4 it's only recently that the removal of exits
 5 has been included within the training. So
 6 that's been another difference in the past,
 7 and that's now starting to be harmonized, but
 8 again maybe the exercises they're undertaking
 9 are quite the same as in other jurisdictions.
 10 ROIL, Q.C.:
 11 Q. Right.
 12 DR. COLESHAW:
 13 A. I just cover here the exercises that are
 14 covered by the current OPITO course. So basic
 15 training, they do a dry evacuation, they then
 16 do three exercises involving submersion of the
 17 helicopter, and three exercises with a
 18 capsize, and those three exercises are a
 19 breath hold escape through openings without an
 20 exit to remove. They then repeat that using
 21 the EBS, still with no exits, and then a third
 22 exercise is using EBS, but removing an exit.
 23 ROIL, Q.C.:
 24 Q. So there's a series of steps that increase the
 25 number of skills that you are exercising?

Page 53

1 DR. COLESHAW:
 2 A. That's right, and that's been something that
 3 has been recommended in terms of a means of
 4 learning is that you do part task learning and
 5 you build up the difficulty with the
 6 exercises. So they're doing those exercises
 7 on submersion and then doing the same
 8 exercises with a capsized. I think the last
 9 point in terms of differences we've talked
 10 about already.
 11 ROIL, Q.C.:
 12 Q. Yes. Okay, that takes us through the third of
 13 the issues and we have one final one, and this
 14 is expressed in the issues for consideration
 15 as "Should helicopter passengers have a level
 16 of accountability for their own safety in
 17 helicopter transport", and that question has
 18 been worded rather broadly to allow various
 19 people to interpret it whichever way they
 20 choose.
 21 DR. COLESHAW:
 22 A. Yeah.
 23 ROIL, Q.C.:
 24 Q. How do you choose to interpret that?
 25 DR. COLESHAW:

Page 54

1 A. Well, again this is something that - safety
 2 culture isn't my particular specialty, but
 3 obviously in the course of the type of work I
 4 do there's a lot of issues that come up that
 5 can be put under this heading of personal
 6 accountability.
 7 The first one is confidence in water and
 8 people's swimming ability, and certainly the
 9 stress project demonstrated a problem of
 10 highest levels of anxiety are quite often in
 11 non-swimmers for obvious reasons. They're
 12 quite scared of the whole thought of doing
 13 underwater escapes, which is quite
 14 understandable, so I think this is somewhere
 15 where individuals perhaps have some
 16 responsibility to think about, will I get a
 17 lot more from this training if I had some
 18 swimming ability, the benefits of building up
 19 confidence.
 20 Certainly RGIT at one time offered short
 21 courses a couple of days before doing HUET
 22 training, they could come in and just get used
 23 to that water environment, get used to having
 24 their head underwater because if you're a non-
 25 swimmer, you've perhaps never put your head

Page 55

1 underwater. So it's no wonder that training
 2 them becomes very stressful, and if you apply
 3 that to the real emergency, how well are those
 4 people going to be able to cope with being
 5 plunged underwater and in that case in very
 6 cold water. I think that's something that
 7 individuals can take on board in terms of
 8 would they be better off if they had some
 9 experience in the water environment.
 10 The second one I've got is clothing worn
 11 under the helicopter immersion suits. This is
 12 an issue in terms of who is responsible for
 13 the overall level of insulation of the suit
 14 system. Part of it is controlled by the suit
 15 that's being worn, but part of it is within
 16 the control of the individual as to what they
 17 wear. I think in the past, if it was a very
 18 hot day, they'd have worn very little clothing
 19 under the suit because they didn't want to get
 20 hot in the helicopter. I went to a very
 21 interesting short project for one oil company
 22 when we were first introducing thermal liners
 23 underneath their helicopter suits. Before
 24 that, they'd just been coveralls that kept you
 25 dry. We went to a local harbour and had a

Page 56

1 group of subjects, so split into one group;
 2 one wearing just the coverall - helicopter
 3 suit over their normal clothing, and one with
 4 these thermal liners, and the idea was we're
 5 going to go into the water, experience the
 6 cold water and environment, and then we're
 7 going to swap them over and they could
 8 experience the other option. The ones who had
 9 been in the uninsulated system basically
 10 refused to go in a second time. Those that
 11 had been in the higher insulation suit system
 12 said no way we're going to go back with less
 13 insulation. So that group went back to their
 14 colleagues with a very strong message that
 15 having additional insulation under the suits
 16 is important, and I think that applies to the
 17 clothing.
 18 In the UK now, most of the oil companies
 19 operate a clothing policy where the workforce
 20 are recommended to wear either two or three
 21 layers under the suit and they have that
 22 policy posted at the heliports. Some of that
 23 varies. They might have two layers in the
 24 summer and three during the winter months, but
 25 most of them now have policies to try and

Page 57

1 encourage the individual to take
 2 responsibility for the level of clothing that
 3 they're wearing.
 4 ROIL, Q.C.:
 5 Q. Uh-hm.
 6 DR. COLESHAW:
 7 A. And that probably leads into the correct
 8 sizing and fit of helicopter immersion suits.
 9 We've talked about regulators having a role in
 10 the sizing of suits, but I think again the
 11 individual has some responsibility for
 12 checking that they be given the correct size
 13 of suit.
 14 I'm sure there are individuals who ask
 15 for a larger size suit because particularly
 16 the seals are more comfortable if they're in a
 17 larger suit. We've had problems in the past
 18 of seals on wrists that are being cut down,
 19 and if you have a cut down wrist seal, it
 20 might be more comfortable, but it will
 21 certainly leak if you entered the water. So
 22 that's another area where I think there's a
 23 bit of personal account.
 24 ROIL, Q.C.:
 25 Q. I take it that if an individual was

Page 58

1 responsible to make a decision about sizing,
 2 that that individual should have enough
 3 information about sizing to be able to make
 4 that -
 5 DR. COLESHAW:
 6 A. Yes, I think -
 7 ROIL, Q.C.:
 8 Q. If somebody gives me a large suit and it -
 9 DR. COLESHAW:
 10 A. Yes, they should be educated as to what is the
 11 correct size that they should be wearing, and
 12 they should be double checking that they've
 13 actually been issued with that size of suit.
 14 ROIL, Q.C.:
 15 Q. So you should understand what fit means, and
 16 then understand what the correct size is for
 17 you?
 18 DR. COLESHAW:
 19 A. Yeah.
 20 ROIL, Q.C.:
 21 Q. Okay.
 22 DR. COLESHAW:
 23 A. The next one on the list is attitude to
 24 training. I think this is just an issue of
 25 those who are positive about training again

Page 59

1 get more out of it than the individuals I
 2 mentioned earlier who are perhaps very fed up
 3 with training, don't want to be there, and I
 4 think they're going to get much less benefit
 5 from training courses than those that see the
 6 value of the training. I think part of that
 7 is the responsibility of employers and the
 8 training organizations to educate them in
 9 terms of why they're doing the training, what
 10 the benefits are. A positive personal
 11 attitude is going to be a good thing.
 12 I think similarly in terms of helicopter
 13 transport, I've put in here having a personal
 14 survival strategy. This is a personal plan.
 15 I think my example here is getting on a fixed
 16 wing aircraft to fly across from the UK to
 17 Canada. One thing I always do is check where
 18 the exits are, the exit mechanism on my safety
 19 card, and I do religiously take that out of
 20 the pocket and I religiously count how many
 21 seat rows to the nearest exits. I'm sure my
 22 family possibly think I take that too far.
 23 That's having a personal plan in the event of
 24 things going wrong, and it could happen to me,
 25 it's not always going to happen to somebody

Page 60

1 else, that you've actually thought through
 2 what's going to happen and where your nearest
 3 exists are going to be. I think that can only
 4 enhance that experience of helicopter
 5 transport.
 6 The very final point I've got is in terms
 7 of responsibility for speaking out. This is
 8 more of a more general safety issue, I think,
 9 but again in the UK sector at the moment there
 10 have been some initiatives for people, and
 11 again it's just taking personal responsibility
 12 for safety, that if they see an unsafe act
 13 that somebody else is doing, they speak out
 14 about it. One of the companies has put in a
 15 policy for walking downstairs that everybody
 16 must always have one hand on the handrail. If
 17 you see somebody else going down the stairs
 18 not using that hand on the handrail, they
 19 should speak out and point out to the person
 20 that they're not doing it. If they don't take
 21 any action, they themselves could be
 22 disciplined for not pointing it out. This has
 23 been to try and stop preventable accidents,
 24 little accidents that could have been
 25 prevented by somebody who had seen something

Page 61

1 and not said anything. It's to encourage a
 2 situation where if you see something that's
 3 wrong, you take some action and do something
 4 about it. It's getting away from the fear
 5 culture of the past. People are able to do
 6 that speaking out.
 7 ROIL, Q.C.:
 8 Q. Just an overall comment or question from you,
 9 a comment from you, a question to you, in your
 10 experience working in the place that we say
 11 that is like us, the North Sea, what have you
 12 seen in terms of trends over the past number
 13 of years in terms of accountability and
 14 responsibility and culture; is it static, is
 15 it improving, is it getting worse, what's
 16 happening over on your side of the world?
 17 DR. COLESHAW:
 18 A. I would say definitely improving with time.
 19 There have been big moves - change in safety
 20 that's been going on for the last ten years,
 21 and that is all about continuous improvement,
 22 it's about improving the safety culture,
 23 involving the workforce in decision making,
 24 allowing people to have a say so that
 25 everybody feels involved in safety issues,

Page 62

1 that it's not somebody else that's making all
 2 the decision. I think that has made big
 3 improvements.
 4 ROIL, Q.C.:
 5 Q. I have no further questions for you. Thank
 6 you very much, Dr. Coleshaw, for the
 7 information you've provided to us and for
 8 taking the time to come over here and speak to
 9 us. I'm sure some of my colleagues and some
 10 others in the room may have some questions as
 11 well.
 12 COMMISSIONER:
 13 Q. Thank you, Mr. Roil. Now Transport Canada is
 14 not present. CAPP?
 15 MR. SCHULTZ:
 16 Q. No questions. Thank you.
 17 COMMISSIONER:
 18 Q. Thank you. The oil operators, beginning with
 19 HMDC, Ms. Strickland.
 20 MS. STRICKLAND:
 21 Q. I have no questions on direct. Again we
 22 reserve our right to raise any questions that
 23 might arise.
 24 COMMISSIONER:
 25 Q. Yes. On that matter, you know, if anyone, no

Page 63

1 matter what they're turn is wants to ask a
 2 question, I would permit it, because the more
 3 information that we can get obviously the
 4 better for all concerned. So nobody should
 5 worry about being caught out of turn or
 6 something like that, you know. All right,
 7 counsel for Cougar? Well, wait, I'm sorry,
 8 the other oil operators, of course, Suncor and
 9 Husky, have you any questions at this time?
 10 MS. HICKMAN:
 11 Q. No, Mr. Commissioner.
 12 MR. PRITCHETT:
 13 Q. No questions.
 14 COMMISSIONER:
 15 Q. Counsel for Cougar, Mr. Stamp?
 16 STAMP, Q.C.:
 17 Q. No questions. I might after Ms. O'Brien, if I
 18 may. If I have any questions, then I can
 19 bring them up at that time.
 20 COMMISSIONER:
 21 Q. Okay then. Helly Hansen is not here.
 22 MR. SPENCER:
 23 Q. Helly Hansen is here.
 24 COMMISSIONER:
 25 Q. Oh, sorry.

Page 64

1 MR. SPENCER:
 2 Q. Wouldn't miss it for the world. We don't have
 3 any questions at this time.
 4 COMMISSIONER:
 5 Q. After saying that, you have to ask a question.
 6 MR. SPENCER:
 7 Q. (Inaudible). We have nothing at this time.
 8 COMMISSIONER:
 9 Q. All right then, thank you. Counsel for MUN?
 10 HURLEY, Q.C.:
 11 Q. No questions, Mr. Commissioner.
 12 COMMISSIONER:
 13 Q. Thank you. Government of Newfoundland and
 14 Labrador?
 15 MR. PRITCHARD:
 16 Q. Nothing arising, Commissioner.
 17 COMMISSIONER:
 18 Q. Okay, thank you. Mr. Harris.
 19 DR. SUSAN COLESHAW - EXAMINATION BY JACK HARRIS, Q.C.:
 20 HARRIS, Q.C.:
 21 Q. Thank you, Mr. Commissioner. I just have one
 22 question arising. Dr. Coleshaw, my name is
 23 Jack Harris, I'm a Member of Parliament for
 24 this particular riding.
 25 DR. COLESHAW:

1 A. Good morning.
 2 HARRIS, Q.C.:
 3 Q. You mentioned under the EBS, emergency
 4 breathing systems, that there's been some
 5 experience with it in civil aviation, but you
 6 also indicated that the military had been
 7 using it for a much longer period of time.
 8 DR. COLESHAW:
 9 A. Uh-hm.
 10 HARRIS, Q.C.:
 11 Q. Can you tell us what type of breathing
 12 apparatuses the military, and I'm assuming
 13 you're talking about the British, the UK
 14 military, but can you tell us any more about
 15 what type of breathing apparatus they use,
 16 whether they use the rebreathing or the
 17 compressed air, and what their experiences
 18 have been and has there been any research done
 19 on their work as well?
 20 DR. COLESHAW:
 21 A. Yes, I think predominantly the military are
 22 using compressed air systems. That's not just
 23 in the UK, that's worldwide.
 24 HARRIS, Q.C.:
 25 Q. And what experiences have they - has there

1 Q. Do you have an idea why they would choose that
 2 particular compressed air system versus the
 3 rebreathing?
 4 DR. COLESHAW:
 5 A. I think if you got personnel that you can
 6 train, the medical aspects, I think, are much
 7 less of a problem because military personnel
 8 would have gone through very vigorous
 9 medicals, anyway, so I think that's been much
 10 less of an issue in terms of adding on.
 11 Assessing respiratory performance has not been
 12 a big issue for the military. So some of the
 13 things that have constrained implementation of
 14 compressed air systems for the civilian
 15 workforce haven't been there for the military.
 16 HARRIS, Q.C.:
 17 Q. Thank you.
 18 COMMISSIONER:
 19 Q. Thank you, Mr. Harris. Counsel for CEP, Mr.
 20 Earle.
 21 DR. SUSAN COLESHAW - EXAMINATION BY RANDELL EARLE, Q.C.:
 22 EARLE, Q.C.:
 23 Q. Good morning, Dr. Coleshaw.
 24 DR. COLESHAW:

1 been any reports or research? Obviously, the
 2 training side is much more of a - in the
 3 military, there would be heavier emphasis on
 4 training throughout, but what experience have
 5 they had, are there any reports on that or any
 6 studies been done on that that would help
 7 inform what choices might be made in terms of
 8 the use of helicopter suits?
 9 DR. COLESHAW:
 10 A. Yeah, there certainly is material that's been
 11 undertaken, there's been research undertaken.
 12 Some of it is a little bit more difficult to
 13 obtain, it's not necessarily out there in the
 14 public domain, but, yes, there is research
 15 that's been done and there's certainly quite a
 16 lot of anecdotal experience or reports of
 17 incidents where compressed air systems have
 18 been used and have aided escape when they've
 19 been used by military personnel.
 20 HARRIS, Q.C.:
 21 Q. So the reports have been positive with that
 22 system?
 23 DR. COLESHAW:
 24 A. I would say so, yes.
 25 HARRIS, Q.C.:

1 A. Good morning.
 2 EARLE, Q.C.:
 3 Q. My name is Randell Earle, and I represent the
 4 Communications Energy and Paperworkers Union,
 5 which is the bargaining agent for the
 6 employees at the Hibernia Platform and the
 7 Terra Nova FPSO. There are a number of areas
 8 that I'd like to explore with you, the first
 9 of which - and I think the reference is at
 10 Publication 8 in your CV. I believe you've
 11 referred to that in your evidence this
 12 morning, "preliminary study of the
 13 implementation and use of emergency breathing
 14 systems, Civil Aviation Authority Paper 2003-
 15 13", and did I understand you to indicate that
 16 you were actually engaged to do the work
 17 leading to that paper in 2001?
 18 DR. COLESHAW:
 19 A. I was the author of that paper.
 20 EARLE, Q.C.:
 21 Q. Yes, but in terms of time frame, your work was
 22 initially commenced in 2001?
 23 DR. COLESHAW:
 24 A. Probably 2001 or 2002. I can't remember
 25 exactly, but that's the time period. It was

Page 69

1 following the EBS workshop, and it was
 2 probably about a year after that. I can
 3 remember it actually started in about 2001.
 4 EARLE, Q.C.:
 5 Q. And would it be correct that the genesis, if
 6 you will, of this EBS work was the recognition
 7 which you've mentioned earlier in your
 8 evidence in 2000, that the breath hold time of
 9 the average person in a submerged helicopter
 10 which was for a large percentage insufficient
 11 to allow escape, is that correct?
 12 DR. COLESHAW:
 13 A. Yes, in cold water that would be the case.
 14 EARLE, Q.C.:
 15 Q. Yes. So I was wondering could you tell us by
 16 the time that you published this paper in
 17 2003, what was the state of affairs in terms
 18 of the prevalence of use of the EBS in its
 19 various iterations in your part of the world?
 20 DR. COLESHAW:
 21 A. At that time, we probably got to the point
 22 where the majority of offshore operators were
 23 then using either Air Pocket, which was the
 24 pure rebreather, the original design, or Air
 25 Pocket Plus, which is the hybrid device, and I

Page 70

1 think by 2003 the majority were probably using
 2 Air Pocket Plus. There was at least one
 3 company that took a long time to adopt, and I
 4 think it was only really when training in EBS
 5 was introduced that it was across the board
 6 because then it became part of the OPITO
 7 training to actually use EBS.
 8 EARLE, Q.C.:
 9 Q. So by 2003, it was -
 10 DR. COLESHAW:
 11 A. Most had devices of some type.
 12 EARLE, Q.C.:
 13 Q. Really the norm for passengers in the North
 14 Sea -
 15 DR. COLESHAW:
 16 A. In the UK sector. I think Norway was somewhat
 17 later before they started using their
 18 rebreather systems.
 19 EARLE, Q.C.:
 20 Q. And how much later would that have been?
 21 DR. COLESHAW:
 22 A. As far as I remember, several years. I think
 23 they've been using them for several years now,
 24 say, maybe three years that they've been
 25 using. I couldn't tell you the actual date

Page 71

1 that theirs were introduced.
 2 EARLE, Q.C.:
 3 Q. You did another paper which was delivered
 4 January 30th, 2006.
 5 DR. COLESHAW:
 6 A. Uh-hm.
 7 EARLE, Q.C.:
 8 Q. To a CAPP workshop.
 9 DR. COLESHAW:
 10 A. That's right.
 11 EARLE, Q.C.:
 12 Q. In Canada. What was the prevalence in the
 13 North Sea at that time in terms of the use of
 14 rebreathers and the hybrids?
 15 DR. COLESHAW:
 16 A. I think by then everybody would have been
 17 using hybrid devices.
 18 EARLE, Q.C.:
 19 Q. Now we - as I understand it from you, have yet
 20 to have a technical standard for these things.
 21 DR. COLESHAW:
 22 A. Uh-hm.
 23 EARLE, Q.C.:
 24 Q. So I take it from this, that the technical
 25 standard - the absence of a technical standard

Page 72

1 has not stood in the way of implementing this
 2 device?
 3 DR. COLESHAW:
 4 A. I think that's partly because of the devices
 5 that have been used there's either published
 6 information or there has been a large body of
 7 work in terms of the development of the
 8 devices. In terms of what we use in the UK,
 9 it was Shell that instigated the original
 10 development of the Air Pocket Rebreather, and
 11 so they, as the end user, had control over the
 12 work that was done and it was a very extensive
 13 program or research that was undertaken up to
 14 the point when the final device was developed
 15 and implemented.
 16 EARLE, Q.C.:
 17 Q. It's my understanding that Shell brought the
 18 rebreather in in the late 90s?
 19 DR. COLESHAW:
 20 A. Yes.
 21 EARLE, Q.C.:
 22 Q. So it was, if you will, an industry driven -
 23 DR. COLESHAW:
 24 A. It was an industry led initiative, yes.
 25 EARLE, Q.C.:

Page 73

1 Q. We associate Shell, of course, with the
 2 Netherlands. Would they have been using it in
 3 that part of their operations?
 4 DR. COLESHAW:
 5 A. I'll have to say I'm not sure of the answer to
 6 that question. It's something I could find
 7 out. They do certainly use different
 8 equipment in the Netherlands than the UK.
 9 EARLE, Q.C.:
 10 Q. I'd like to turn for a moment to the area of
 11 HUET training.
 12 DR. COLESHAW:
 13 A. Uh-hm.
 14 EARLE, Q.C.:
 15 Q. And just see if I understand what you're
 16 saying correctly. In the area of fidelity,
 17 the training would necessarily incorporate all
 18 the activities that would be needed to be
 19 undertaken by a person to escape from an
 20 inverted or submerged helicopter, is that
 21 correct?
 22 DR. COLESHAW:
 23 A. I mean, I think that is the ideal, that's what
 24 you're aiming to achieve is that they cover as
 25 many of the procedures that are possible

Page 74

1 within the training environment. I'm sure
 2 there are some small areas that potentially
 3 are not covered, but I think that is the
 4 overall objective.
 5 EARLE, Q.C.:
 6 Q. One of the things that has come to the fore in
 7 this Inquiry is that the newer helicopters are
 8 now being equipped with a stroking seat, which
 9 to the layman seems like the old Volvo
 10 advertisements where they showed the front end
 11 of the car collapsing in the collision, and
 12 that we have a seat that goes into a
 13 controlled collapse to avoid the impact
 14 effect. Would you feel that the activities
 15 should be undertaken in a circumstance where
 16 that seat is operative?
 17 DR. COLESHAW:
 18 A. It's certainly a very good question because I
 19 think it would change some of the tasks that
 20 are being undertaken by the individual if
 21 they're going to end up in a different
 22 position. That's going to influence their
 23 relationship to the exits and it could
 24 influence the ease of releasing the harness.
 25 So I'm not sure whether you'd be able to

Page 75

1 simulate the actual change in height of the
 2 seat, but I think certainly they should
 3 possibly look at carrying out the actions in a
 4 normal seat and maybe have compressed seat, so
 5 can they release the harness from that
 6 position.
 7 EARLE, Q.C.:
 8 Q. Yes, and so design a seat such that when
 9 sitting in it, you're in that position with
 10 your knees raised considerably -
 11 DR. COLESHAW:
 12 A. Again it's the familiarity with the scenario
 13 that you might be presented with.
 14 EARLE, Q.C.:
 15 Q. And I take it from what you said, you would
 16 consider it important that if the industry
 17 standard is moving towards a four point
 18 harness, that people should be doing HUET
 19 training with a four point harness?
 20 DR. COLESHAW:
 21 A. I think that would certainly be what I would
 22 be looking for.
 23 EARLE, Q.C.:
 24 Q. And again an absolute requirement is that the
 25 individual go through the process of opening

Page 76

1 an emergency exit or pushing out a window in
 2 the course of training?
 3 DR. COLESHAW:
 4 A. And that is some work I did again for OPITO a
 5 few years ago was to look at some of those
 6 issues. They forwarded a proposal for adding
 7 in exits, and one of the recommendations was,
 8 yes, that that should be done. The concern
 9 then was that it was going to make training
 10 more stressful, and my view at that time was
 11 manage the stress, but include exits within
 12 the training.
 13 EARLE, Q.C.:
 14 Q. And so that you would see these things as
 15 being sort of the elemental building blocks of
 16 the training?
 17 DR. COLESHAW:
 18 A. Uh-hm.
 19 EARLE, Q.C.:
 20 Q. The window on the other hand probably be
 21 somewhere within the range of window sizes,
 22 and we should not get terribly hung up about
 23 the fact that the window may not be exactly
 24 the same size as the window in the dominant
 25 aircraft here because, after all, our people

Page 77

1 might be in another aircraft off the coast of
 2 Africa?
 3 DR. COLESHAW:
 4 A. That is true. I mean, I think if you got a
 5 workforce where they're predominantly using
 6 one type, then the ideal would be to have that
 7 type. If you got a workforce where they could
 8 be in different helicopters, then it becomes
 9 less of an issue because they don't know -
 10 then it's got to be representative. I think
 11 they've got to have some feel that they might
 12 have to get through a pretty small escape
 13 window, that they have that experience. Now I
 14 don't think they're going to know whether it's
 15 exactly the same to the inch.
 16 EARLE, Q.C.:
 17 Q. And in terms of the frequency with which
 18 someone goes through the escape process, I
 19 hear you suggesting that three/four escapes
 20 underwater may be the sort of thing that we
 21 should be looking at?
 22 DR. COLESHAW:
 23 A. Well, I'll just say what's in the current
 24 OPITO which are - they actually do six
 25 underwater escapes, three of which are

Page 78

1 inversions. Again that's something that's
 2 changed over time and the number of escapes
 3 has increased within the OPITO training, and I
 4 think any further changes, I think they would
 5 be saying, well, I'm not sure that we want to
 6 put in yet more exercises, maybe we'll switch
 7 them around, and part of that is just the time
 8 that the training takes.
 9 EARLE, Q.C.:
 10 Q. But I do get the sense from you, and correct
 11 me if I'm wrong, that, for instance, a
 12 training process where one does one inverted
 13 escape might be a bit thin?
 14 DR. COLESHAW:
 15 A. One is better than nothing; two would be
 16 better than one. I think it's - I mean,
 17 there's no doubt that the more practice you
 18 have, the more competent you're likely to be.
 19 So, yes, more than one escape would be an
 20 advantage.
 21 EARLE, Q.C.:
 22 Q. I think we wanted to stop precisely at 11.
 23 COMMISSIONER:
 24 Q. Oh, yes, I think we ought to try and keep our
 25 schedule. If you have another question

Page 79

1 probably before -
 2 EARLE, Q.C.:
 3 Q. I've got another brief question.
 4 COMMISSIONER:
 5 Q. Yes.
 6 EARLE, Q.C.:
 7 Q. And I should know the difference because I
 8 occasionally get on the water, but you
 9 referred to sea state 5 or 6 as being the
 10 limit of the kind of seas that we can maintain
 11 stability for a helicopter, and I wonder could
 12 you translate that into metres for us because
 13 our earlier evidence on flight limits for
 14 helicopters has been in terms of metres of
 15 sea?
 16 DR. COLESHAW:
 17 A. I understand that sea state 5 are seas with
 18 four to six metre waves. So that's the range
 19 - obviously, they're not all uniform, so I
 20 think that range covers - four to six metres.
 21 EARLE, Q.C.:
 22 Q. A shorthand method, if we change metres for
 23 sea state, we'll -
 24 DR. COLESHAW:
 25 A. Yes, I can't remember all the - I mean, I did

Page 80

1 look at it because I knew I was going to be
 2 asked this question at some point, and it's
 3 not a case that sea state 6 is up six metres,
 4 and sea state 5 is up to five, it's not quite
 5 parallel to that. They are defined. They can
 6 be found on the internet. I did look at sea
 7 state 6, which is the four to six metres.
 8 EARLE, Q.C.:
 9 Q. At the risk of people looking at their
 10 watches, I'll just ask you are you aware in
 11 your jurisdiction if there is any limitation
 12 on helicopter transport which is based in the
 13 safe sea state for ditching of a helicopter,
 14 i.e. we will not fly helicopters if the sea
 15 state is greater than?
 16 DR. COLESHAW:
 17 A. Again it's a little difficult for me to answer
 18 this one, and I'm not sure I'm the person that
 19 should be. I mean, I know there has been some
 20 debate in terms of the certification of
 21 helicopters and question marks about the
 22 routes that are being followed that perhaps
 23 the sea states are higher than the current
 24 ditching capability of those aircraft. I know
 25 that has been a question that's raised. I

Page 81

1 think ultimately it's down to the helicopter
 2 pilots to say whether they're willing to fly
 3 or not, so I think one time when they wouldn't
 4 fly, and the ultimate responsibility would be
 5 with the pilots, and beyond that, I don't
 6 think I'm qualified to answer that.
 7 EARLE, Q.C.:
 8 Q. I have some more questions, but we are into
 9 the -
 10 COMMISSIONER:
 11 Q. Yes, well, I think we'll take our break now
 12 then.
 13 (RECESS)
 14 EARLE, Q.C.:
 15 Q. Dr. Coleshaw, you discussed the idea of
 16 personal accountability and the need to speak
 17 up on the fit of your suit, or for that matter
 18 to identify somebody who is not holding onto a
 19 handrail. Would you agree with me that the
 20 precondition to that kind of personal
 21 accountability is a sense on the part of the
 22 worker that they can raise these issues
 23 without fear of recrimination?
 24 DR. COLESHAW:
 25 A. Absolutely.

Page 82

1 EARLE, Q.C.:
 2 Q. I was just wondering -
 3 DR. COLESHAW:
 4 A. That has to do with the safety culture, I
 5 think.
 6 EARLE, Q.C.:
 7 Q. Yeah, I was wondering if you could offer
 8 anything to us from the UK experience in that
 9 area. The UK offshore has been described as a
 10 mature industry, and I wouldn't want to get
 11 everybody upset by saying that we're immature,
 12 but we certainly haven't been at it as long as
 13 you have in the UK, and there's no doubt that
 14 attitudes change from time to time. Has it
 15 always been the case in the UK that workers
 16 have felt, you know, if it doesn't work for
 17 me, I can bring it up, or has that been a
 18 result of a change in attitudes towards safety
 19 over the period of time?
 20 DR. COLESHAW:
 21 A. I should first say this isn't a particular
 22 area of expertise I have, other than it's an
 23 obvious interest in the type of work I do, but
 24 I certainly can say that I think probably it
 25 has changed over the last 10, 15, 20 years

Page 83

1 that I've been in the industry. Post Pipe
 2 Alpha there was a lot of work done, both on
 3 safety culture and on management styles, and
 4 I've got colleagues within the University of
 5 Aberdeen who've done a lot of work in that
 6 area. So I think that has been instrumental
 7 in bringing about a change in culture within
 8 the companies.
 9 EARLE, Q.C.:
 10 Q. Now in the area of suits, the issue of the
 11 comfort of the suit is one that hangs around
 12 the edge. Would you agree with me that
 13 compliance in terms of the proper wearing of
 14 the suit, not having it open so much that it
 15 can't be zipped up properly, or, you know, in
 16 a state of non-readiness because you're too
 17 warm if you are, but comfort in the suit and
 18 compliance with proper use are definitely
 19 related factors?
 20 DR. COLESHAW:
 21 A. They're certainly related, and I think it's a
 22 difficult question about how much discomfort
 23 should you expect people to cope with, and I
 24 think that's - because it's a very subjective
 25 thing that's quite a difficult one to handle.

Page 84

1 EARLE, Q.C.:
 2 Q. How long is the typical flight for an offshore
 3 worker in the UK?
 4 DR. COLESHAW:
 5 A. In the UK, I think between one and two hours.
 6 EARLE, Q.C.:
 7 Q. Between one and two?
 8 DR. COLESHAW:
 9 A. Yes, some are one hour flights, some are two
 10 hour. I think there are some getting slightly
 11 longer now, they're going further out.
 12 EARLE, Q.C.:
 13 Q. There's mention in the area of comfort,
 14 dampness from sweating. If a suit causes the
 15 wearer to sweat in the weather conditions that
 16 are operative during the flight time, what is
 17 the effect of that sweat and dampness on the
 18 thermal value of the suit if the person has to
 19 use it? I mean, is it neutral, or will the
 20 fact of their clothing being damp and any
 21 lining perhaps being damp, will that affect
 22 the thermal value?
 23 DR. COLESHAW:
 24 A. I mean, there's certainly been work that's
 25 shown that a significant amount of sweat will

Page 85

1 somewhat reduce insulation, and I think that's
 2 to some extent again dependent on the type of
 3 clothing. If you got clothing that will wick
 4 some of that moisture away, it's going to have
 5 much less of effect, and suits used in the UK
 6 are breathable materials, another difference
 7 we haven't touched on before, so part of that
 8 is trying to reduce if you have any problems
 9 due to this sort of thing.

10 EARLE, Q.C.:

11 Q. Breathable materials, though, don't have the
 12 same thermal value, do they?

13 DR. COLESHAW:

14 A. Well, actually that's the outer fabric, so the
 15 insulation is provided by the lining
 16 materials, but there's also been some work
 17 done, I think, to do with people getting very
 18 hot, and I think in terms of its influence on
 19 body cooling if you end up in the water, if
 20 you start off very hot when you go in, that's
 21 a situation where you're sweating, actually
 22 your body temperature has got further to fall.
 23 So I think there is one study that's shown
 24 that overall it doesn't have a significant
 25 effect on the overall end point, so basically

Page 86

1 you can tolerate a certain amount of sweating
 2 within a suit and not have an effect on body
 3 cooling.

4 EARLE, Q.C.:

5 Q. Now you've written fairly extensively in your
 6 paper in issues of buoyancy.

7 DR. COLESHAW:

8 A. Uh-hm.

9 EARLE, Q.C.:

10 Q. And I think it would be helpful at the outset
 11 to understand how the buoyancy of a suit is
 12 calculated.

13 DR. COLESHAW:

14 A. It's measured by using human subjects for the
 15 measuring and you weigh their weight
 16 underwater when they're in standard clothing
 17 or in swimming trunks. So you fully immerse
 18 them in the water above the head and measure
 19 their underwater weight. They then don the
 20 suit and any associated clothing that might be
 21 worn and you repeat that measurement, and the
 22 difference of the two underwater measures
 23 buoyancy.

24 EARLE, Q.C.:

25 Q. One point that you made, and it's one that I

Page 87

1 must say gives me pause for thought, is that
 2 the amount of material in a suit will affect
 3 its buoyancy?

4 DR. COLESHAW:

5 A. Yes.

6 EARLE, Q.C.:

7 Q. Just the amount of material, so that if you
 8 are in a suit with great folds of material
 9 hanging away, even though the suit seals
 10 properly and everything, that you probably
 11 have a suit that gives a greater buoyancy than
 12 if you have a suit that fits like it was
 13 tailored for you?

14 DR. COLESHAW:

15 A. That's right, yes, certainly.

16 EARLE, Q.C.:

17 Q. So -

18 DR. COLESHAW:

19 A. Because you're not just measuring the buoyancy
 20 of the suit, you're actually measuring the
 21 buoyancy due to the suit and any other trapped
 22 air, and that is the measurement that's made.

23 EARLE, Q.C.:

24 Q. Yeah, that's right, and - but just if we could
 25 break it up, just the material alone adds to

Page 88

1 the buoyancy, and, you know, I don't know
 2 exactly how these things translate in terms of
 3 sizing, but I know, for instance, some of the
 4 materials I've read have indicated that the
 5 thermal testing is done using a mannequin, and
 6 it strikes me that if you got a mannequin,
 7 it's very easy to get a suit that's a good fit
 8 because you say we want a size 12 mannequin
 9 for a size 12 suit.

10 DR. COLESHAW:

11 A. Uh-hm.

12 EARLE, Q.C.:

13 Q. I can tell you from personal experience that
 14 the human body doesn't always come in an easy
 15 size to fit, and so I'm just wondering what is
 16 the standard, how do we determine what the
 17 buoyancy of a typical suit on a typical
 18 helicopter passenger is?

19 DR. COLESHAW:

20 A. I mean, that is only covered by the fact that
 21 all suit testing is done on a range of subject
 22 sizes, cut up in six subjects. I'm not sure
 23 if the Canadian - if it's not - I think it's
 24 actually more than that. I think it might be
 25 10 or 11 subjects, but you're hoping that

Page 89

1 within that range, and within that range
 2 you're trying to go from the small thin person
 3 to the large bulky person and cover a range of
 4 different body shapes. By picking that up,
 5 you then take an average reading, or, in fact,
 6 most of the standards, all of those test
 7 subjects have to meet the buoyancy
 8 requirement. So that is - you're just taking
 9 a sample of the population. You're not going
 10 to represent the whole population in that, so
 11 it's down to whether you've got a good range
 12 of body sizes within your subject group.
 13 EARLE, Q.C.:
 14 Q. We know, for instance, with the 452 suit that
 15 we had real problems here with people having
 16 suits that had a huge amount of excess fabric,
 17 as well as problems with the seals on the
 18 thing, and you made the point that if you have
 19 an over large suit, you can as well have
 20 trapping of air within the suit, that the air
 21 will not fully evacuate when the hydrostatic
 22 pressure of being submerged is engaged?
 23 DR. COLESHAW:
 24 A. Well, I think the more air that's been
 25 trapped, the longer it's going to take to

Page 90

1 escape from the suit. So, yes, the more over
 2 size the suit is, the bigger the problem the
 3 individual is going to have.
 4 EARLE, Q.C.:
 5 Q. Now in your paper you've used this figure of
 6 buoyancy as being "N".
 7 DR. COLESHAW:
 8 A. Yeah.
 9 EARLE, Q.C.:
 10 Q. And that is about as clear to me as "Clo's"
 11 were before we heard from you on that
 12 yesterday. What's an "N"?
 13 DR. COLESHAW:
 14 A. "N" stands for neutron, which is a measure of
 15 force. 150 neutons is equivalent to - I'll
 16 try to explain it, 15 kilograms force. So
 17 that is - multiply to change that to neutons,
 18 you'll multiply the 15 kilograms force by the
 19 gravity factor, which is 9.98. So it's to do
 20 with the output force that's being exerted.
 21 So if you try and submerge - if you put the
 22 suit in a cage underwater, that would be a
 23 force.
 24 EARLE, Q.C.:
 25 Q. So see if I've got it right. You say 150 N's

Page 91

1 is the equivalent of 15 -
 2 DR. COLESHAW:
 3 A. 15 kilograms of force.
 4 EARLE, Q.C.:
 5 Q. Kilograms. So that if we had a vessel in
 6 water that contains sufficient air to generate
 7 150 N's of buoyancy, and we put a 15 kilogram
 8 weight on top of it, it -
 9 DR. COLESHAW:
 10 A. It should then be neutral.
 11 EARLE, Q.C.:
 12 Q. It should be suspended?
 13 DR. COLESHAW:
 14 A. Yeah.
 15 EARLE, Q.C.:
 16 Q. So that tells me that, in fact, it doesn't
 17 take a lot of trapped air to create a neutron.
 18 Am I correct in that?
 19 DR. COLESHAW:
 20 A. Not a huge amount, I suppose. I haven't
 21 thought about it in terms of volumes.
 22 EARLE, Q.C.:
 23 Q. Well, the amount of air that would be
 24 contained within this vessel, that would be
 25 considerably more than would be required to

Page 92

1 create a neutron, wouldn't it?
 2 DR. COLESHAW:
 3 A. Uh-hm. See I don't know, but that seems
 4 reasonable.
 5 EARLE, Q.C.:
 6 Q. And I apologize, Mr. Commissioner, for not
 7 having these earlier. Suncor was good enough
 8 to supply us with some photographs of the
 9 actual suits that we're using now, and I have
 10 got enough copies for everybody. Mr.
 11 Commissioner, if we could perhaps mark these
 12 as exhibits. As is evident from the pictures,
 13 these are pictures of individual - of an
 14 individual front and back in the HTS-1 suit.
 15 COMMISSIONER:
 16 Q. Okay. We could give them a number then.
 17 REGISTRAR:
 18 Q. Yes, Public Exhibit 00222, the front of the
 19 suit, and the photo of the back of the suit,
 20 Public exhibit 00223.
 21 COMMISSIONER:
 22 Q. I might say, Mr. Earle, so that you'd know,
 23 there are three suits, the older suit and two
 24 of the new suits within eight or ten feet of
 25 you beyond that wall which we took the

Page 93

1 precaution of getting here should someone want
 2 to demonstrate something.
 3 EARLE, Q.C.:
 4 Q. But I'm not about to put one on. So, Dr.
 5 Coleshaw, in looking at this suit, and this is
 6 the suit as we've heard from the evidence that
 7 has been modified to - basically, it has a
 8 pair of suspenders inside to allow the legs to
 9 be pulled up, and we can see the accordion
 10 effect at the knee area of the individual.
 11 These fold areas, would you agree with me that
 12 they're potential air traps?
 13 DR. COLESHAW:
 14 A. They're going to trap a certain amount of air,
 15 certainly.
 16 EARLE, Q.C.:
 17 Q. If we could have these -
 18 REGISTRAR:
 19 Q. Yes, the second photograph of the front of the
 20 person wearing a suit will be Public Exhibit
 21 00224, and the second photograph of the rear
 22 of a person wearing the suit will be Public
 23 Exhibit 00225.
 24 COMMISSIONER:
 25 Q. Okay, thank you.

Page 94

1 EARLE, Q.C.:
 2 Q. Dr. Coleshaw, these two pictures are of the -
 3 as indicated, the E452 suit, and as we can
 4 see, it has the capacity for a wearer of
 5 somewhat larger dimensions particularly in the
 6 middle than the individual wearing it, and
 7 also of somewhat longer legs because - we
 8 really have quite a bit of excess material
 9 here, and again potential for air traps with
 10 the folds, would you agree?
 11 DR. COLESHAW:
 12 A. Certainly, looking at these pictures.
 13 EARLE, Q.C.:
 14 Q. And the reason I brought these real life
 15 pictures into play because as I understand
 16 your paper, you're telling us that the
 17 buoyancy limit on the Canadian General
 18 Standards Board approved suit at 175N is 25N
 19 higher than what others are recommending as
 20 the maximum standard, is that correct?
 21 DR. COLESHAW:
 22 A. That's correct.
 23 EARLE, Q.C.:
 24 Q. And this recommendation is based in studies of
 25 the ability of people to get out of submerged

Page 95

1 helicopters, which basically say that - I
 2 think they use the word "naive" subjects, and
 3 what I take that to mean is people without
 4 professional training.
 5 DR. COLESHAW:
 6 A. Uh-hm.
 7 EARLE, Q.C.:
 8 Q. In the - under water, had difficulty in
 9 getting out of helicopters wearing suits with
 10 buoyancy from 138N to 173N.
 11 DR. COLESHAW:
 12 A. Uh-hm.
 13 EARLE, Q.C.:
 14 Q. Again is that correct?
 15 DR. COLESHAW:
 16 A. I think that's correct figures from the work
 17 of Chris Brooks.
 18 EARLE, Q.C.:
 19 Q. Yes, and, in fact, professional trained divers
 20 used to working underwater had difficulty at
 21 the 175 level?
 22 DR. COLESHAW:
 23 A. I think that's correct in some cases. I mean,
 24 there are others who managed to escape. I
 25 think the upper limit was 260/270. That's the

Page 96

1 level. So there was a range in the difficulty
 2 of escape.
 3 EARLE, Q.C.:
 4 Q. Now I understand the reasoning behind the 175N
 5 for suits for the Canadian offshore is the
 6 thermal factor, that it's a tug of war, if you
 7 will, between buoyancy and thermal protection
 8 because as the state of things now exist, in
 9 order to get more thermal protection, you end
 10 up increasing the buoyancy?
 11 DR. COLESHAW:
 12 A. You can do, yes.
 13 EARLE, Q.C.:
 14 Q. Dr. Coleshaw, it appears to me from what
 15 you've told us, that the lesson for this
 16 Inquiry is that we should be paying extremely
 17 close attention to good fit of suits in this
 18 jurisdiction?
 19 DR. COLESHAW:
 20 A. I think that'll create a big difference.
 21 EARLE, Q.C.:
 22 Q. That when we're dealing with a suit like the
 23 452, a fit like the 452 that we have here,
 24 we're actually playing with the limits of safe
 25 buoyancy?

Page 97

1 DR. COLESHAW:
 2 A. I would say it's of the upper limit, yes,
 3 certainly for certain individuals. I think
 4 probably smaller less fit individuals are
 5 going to have much more problems with buoyancy
 6 than the heavier individuals because, of
 7 course, individuals have also got different
 8 underwater weights. So heavier individuals
 9 will have less of a problem, but buoyant
 10 individuals are going to have much bigger
 11 problems with this type of suit.
 12 EARLE, Q.C.:
 13 Q. So if you've been watching your calories, but
 14 for some reason or another you needed a tall
 15 person's suit, you've got a problem?
 16 DR. COLESHAW:
 17 A. Yeah.
 18 EARLE, Q.C.:
 19 Q. And just so we understand, the problem with
 20 all -- with buoyancy, if you have too much of
 21 it, you're going to find yourself pushed
 22 against whatever is -- whether it is the
 23 bottom of the helicopter or the top of the
 24 helicopter, whatever is in the direction of
 25 the surface?

Page 98

1 DR. COLESHAW:
 2 A. Particularly if you've lost contact with
 3 surfaces. I think if you can keep contact
 4 with your handholds, it's going to be less of
 5 a problem than if you've lost that contact.
 6 There's also been some people suggesting that
 7 more handholds close to exits would help,
 8 because at least then you can pull yourself
 9 towards the exit, but if you lose contact,
 10 then yes, there is this danger you're going to
 11 float up or down, at least until some of this
 12 excess air is evacuated from the suit.
 13 EARLE, Q.C.:
 14 Q. So would you subscribe to the view that I know
 15 has been put forward by one of our people that
 16 if you're going to put an inboard fuel tank, a
 17 fuel tank in the cabin, that it should be
 18 designed with a handhold?
 19 DR. COLESHAW:
 20 A. I think that would certainly help the
 21 situation, that if people had to go over that
 22 tank to get to an exit, they've got something
 23 to help them move in that direction.
 24 EARLE, Q.C.:
 25 Q. Basically, the method of evacuation is

Page 99

1 essentially get hold of the exit and pull
 2 yourself towards it, right?
 3 DR. COLESHAW:
 4 A. Yeah. That is certainly what is trained is
 5 locate your exit, have a hand on it and don't
 6 lose contact with it. Now that might not
 7 always be possible, so handholds would help.
 8 EARLE, Q.C.:
 9 Q. And if you lose hold of something and your
 10 suit is too buoyant, you're going to find
 11 yourself trying to push yourself off a surface
 12 in the direction of -
 13 DR. COLESHAW:
 14 A. And have to then either pull down or pull up
 15 to get yourself to the exit.
 16 EARLE, Q.C.:
 17 Q. Thank you very much, Dr. Coleshaw.
 18 DR. COLESHAW:
 19 A. Thank you.
 20 COMMISSIONER:
 21 Q. Okay, thanks, Mr. Earle.
 22 EARLE, Q.C.:
 23 Q. I must say it's been very nice to see you. We
 24 know in one of the earlier exhibits, your name
 25 was redacted out of respect for your privacy,

Page 100

1 so nice to have you here.
 2 DR. COLESHAW:
 3 A. Thank you.
 4 COMMISSIONER:
 5 Q. Now then, counsel for the families, Mr.
 6 Martin.
 7 DR. SUSAN COLESHAW, EXAMINATION BY MR. JAMIE MARTIN
 8 MR. MARTIN:
 9 Q. Good afternoon, or I guess it's still good
 10 morning. Good morning, Dr. Coleshaw.
 11 DR. COLESHAW:
 12 A. Good morning.
 13 MR. MARTIN:
 14 Q. Mr. Commissioner. I'm Jamie Martin. I
 15 represent the several families of the deceased
 16 passengers and my line of questioning is
 17 actually directed to the fidelity issues that
 18 you dealt with in the latter part of your
 19 brief and if we could turn up Tab 22 or page
 20 22 of your PowerPoint presentation? And I
 21 read with interest your paper and what I'm
 22 inquiring about is just trying to get some
 23 more clarification, some more specifics, if I
 24 could. The first issue, you talk about the
 25 stress and the anxiety caused by training.

Page 101

1 DR. COLESHAW:
 2 A. Um-hm.
 3 MR. MARTIN:
 4 Q. I think it's widely acknowledged in the
 5 Province of Newfoundland and Labrador that
 6 jobs in the offshore are very rewarding
 7 professionally and in particular, financially,
 8 and there's a tremendous demand, I would
 9 think, for people trying to get jobs in that
 10 industry and companies, I'm sure, trying to
 11 retain them. We heard from one of the widows
 12 in their presentation here in February that --
 13 and I think it's reflected in the survey that
 14 was done for the Commissioner, that one of the
 15 concerns that workers have is the anxiety
 16 associated with the training, and I guess
 17 that's one of the reasons why you dealt with
 18 that and I'm sure it's not a problem unique to
 19 the offshore Newfoundland and Labrador, but --
 20 and in that particular, the widow, her late
 21 husband had a very rewarding job as a nurse in
 22 the offshore industry. He had tremendous
 23 amount of experience, felt he made a
 24 tremendous contribution to the offshore and in
 25 his previous employment as well.

Page 102

1 But what I'm trying to establish, you
 2 know, in terms of -- and just as part of the
 3 preamble, we heard from the Marine Institute
 4 and we heard from some of the operators, and
 5 particularly the Marine Institute, and they
 6 were talking about some of the problems that
 7 workers experience with the training, some of
 8 the stresses and the anxieties that were
 9 produced, and I guess at one point in time,
 10 you know, maybe it was thought that maybe they
 11 should choose a different career, maybe
 12 they're not cut out for the offshore. But
 13 that's a pretty difficult to choose because
 14 you want to be in that industry. You have
 15 professional designations that allow you to
 16 contribute to that industry and it's not an
 17 easy choice to make, and it is probably one of
 18 the better jobs that you're ever going to get
 19 in your lifetime.
 20 But what I don't see in your paper and
 21 I'm just wondering if you can offer a
 22 perspective -- and I know you don't provide
 23 the training. I know you're commenting on the
 24 training in an academic context, but what can
 25 a company or what can a training provider,

Page 103

1 such as the Marine Institute, do to make the
 2 situation a little bit more acceptable?
 3 Because, you know, there's a lot of anxious
 4 people out there who are very -- feel very
 5 compromised by what's going on. They need the
 6 training, on the one hand. The companies have
 7 to deliver the training, on the other hand.
 8 So how do you strike an appropriate balance?
 9 Any thoughts as to what companies and training
 10 providers can specifically do? Because I know
 11 you've dealt with it in generality.
 12 DR. COLESHAW:
 13 A. Well, and I have actually written a report on
 14 exactly that issue for OPITO, which is one of
 15 my references on the reference list.
 16 MR. MARTIN:
 17 Q. Okay.
 18 DR. COLESHAW:
 19 A. In 2006, and various measures were suggested
 20 in that report, because a lot of the anxiety
 21 is due to anticipation of training, and quite
 22 often that's, you know, particularly the first
 23 time round. Stress tends to be particularly
 24 bad the first time people come and do their
 25 training. So that's considered to be due to

Page 104

1 possibly lack of knowledge about -- either
 2 lack of knowledge about what's about to happen
 3 or in the past, in the UK, there are all sorts
 4 of stories about difficulty of training and
 5 people getting hurt and, you know, there's
 6 this ramping up stress levels, I think, before
 7 people actually arrived at the training
 8 school. So one recommendation was more
 9 information given to people about what to
 10 expect before they arrive.
 11 Another key issue I felt was very
 12 important was to -- one, that staff could
 13 recognize signs of stress within their
 14 trainees and be able to pick up on it, and I
 15 think giving them much more one-to-one
 16 attention during training so that you're
 17 recognizing they're having problems and giving
 18 them that extra help. I certainly saw that if
 19 you have big groups, there's potential for
 20 peer pressure, and if you've got a group of 16
 21 students all standing on the side of the pool,
 22 is one individual who's feeling very bad about
 23 it going to admit that? Or if they're asked
 24 the question in front of 15 others, "are you
 25 happy with use of this piece of equipment?"

Page 105

1 are they going to say no and then go through
 2 additional training? So I think particularly
 3 in the early stages of training when you do
 4 the shallow water training, smaller groups
 5 where there's less peer pressure is probably
 6 going to be something that can help the
 7 situation and just make that -- you know,
 8 allow those individuals just to be helped
 9 through the training.

10 MR. MARTIN:
 11 Q. Now would it be fair to say that you did not
 12 undertake a specific review of the Marine
 13 Institute program, in terms of whether their
 14 instructors have the professional training to
 15 deal with those types of issues?

16 DR. COLESHAW:
 17 A. No, I mean, I was looking at issues in the UK,
 18 and that was in response to the proposal to
 19 include exits, push-out exits within training,
 20 and again, there were people in the industry
 21 expressing just the fears you were, that if
 22 they made training more difficult by giving
 23 them an extra task to do while they're
 24 underwater, that was going to increase levels
 25 of stress. So my report was in response to is

Page 106

1 this too much or other ways that we can handle
 2 this.

3 MR. MARTIN:
 4 Q. From your understanding of the UK experience,
 5 because I know you don't -- you haven't
 6 specifically looked at the Newfoundland and
 7 Labrador experience, are instructors, are the
 8 training personnel equipped to deal with those
 9 types of issues? You know, is it a regular
 10 part of their curriculum to deal with those
 11 apprehensive workers who really want to work
 12 in the -

13 DR. COLESHAW:
 14 A. I did actually ask several of the training
 15 officers in one of the training institutes
 16 where I was looking at this problem and there
 17 tends to be a range of responses to just how
 18 much training they had had in how to deal with
 19 stress. From one had very specific training
 20 because part of his own personal development
 21 had included that. I think they'd all had
 22 some, but it did vary. I think it would be an
 23 advantage if they all had some stress
 24 management training as part of their own
 25 personal development plan.

Page 107

1 MR. MARTIN:
 2 Q. The instructors you're talking about?
 3 DR. COLESHAW:
 4 A. Yes, the instructors.
 5 MR. MARTIN:
 6 Q. So they can anticipate stress, deal with it
 7 accordingly?
 8 DR. COLESHAW:
 9 A. Yeah.
 10 MR. MARTIN:
 11 Q. Okay.
 12 DR. COLESHAW:
 13 A. And I think all of them certainly said that if
 14 they were aware, they'd be giving them
 15 additional help and certainly were quite
 16 willing to provide one-to-one instruction to
 17 get people through, and there are a lot of
 18 situations where -- in the old days, we had to
 19 jump off a fairly high platform and then that
 20 again was a big fear for some people, and at
 21 the end of the training course, that
 22 individual would be kept behind and coached
 23 through because they had to do at least one
 24 jump into the water from this, especially from
 25 the height. At one stage, they allowed them

Page 108

1 just to do it from the lower level and then
 2 build up, but certainly they were quite
 3 willing to do that one-to-one coaching. But I
 4 think you need the trainer to be able to
 5 recognize it, because some will just shut off.
 6 They won't admit that they're having problems
 7 and quite a few I interviewed would sort of
 8 say "well, I wasn't really confident, but I
 9 didn't want to do any more training." They
 10 didn't want to extend the agony of the
 11 training for them. They just wanted to get
 12 through it very quickly. Whereas I suspect
 13 those people really would have, at the end of
 14 the day, coped much better if they'd had
 15 slightly more training, rather than rushing
 16 through it.

17 MR. MARTIN:
 18 Q. The second area of questioning, and again it's
 19 one of the fidelity issues that you identified
 20 in your paper, is the training frequency. I
 21 know you alluded to it earlier this morning
 22 that it would be desirable that -- and I'll
 23 deal with the time frame, because you had
 24 dealt with that in your paper, but especially
 25 for the recurrent training, your position was

Page 109

1 that it should be made more interesting. It
 2 should be more innovative because there are
 3 people who probably are not as apprehensive,
 4 do the training the first time and refresh
 5 themselves two or three years later, but they
 6 don't absorb as much because they've done it
 7 before. I know in your paper, you talk about
 8 it would be desirable to do it on a more
 9 frequent basis, and again, I ask the question
 10 have you looked at the experience here in
 11 Newfoundland and Labrador, in terms of the
 12 frequency of training that's offered here?
 13 Have you specifically looked at that?
 14 DR. COLESHAW:
 15 A. I mean, I haven't specifically looked at that.
 16 I mean, that wasn't within my remit in terms
 17 of the report. So I think it's another of
 18 these situations where idealistically more
 19 frequent training is the better the retention
 20 of skills, but I think from the
 21 practicalities, you've got to come up with
 22 something that's workable for the industry and
 23 I think the industry is struggling with what
 24 is the optimum retraining period.
 25 MR. MARTIN:

Page 110

1 Q. And do you have an opinion on that, as to what
 2 would be the optimum period? Obviously the
 3 companies want to make sure they have a well
 4 trained work force, but they also are
 5 sensitive to the costs and I don't hold any
 6 ill feeling because that has to be factored
 7 into the equation as well. But do you have an
 8 opinion as to, you know, based on your
 9 experience in the UK, as to how frequently it
 10 should occur? I know it'll vary and there'll
 11 be different circumstances facing our
 12 industry, as opposed to the UK or Norway, but
 13 any opinion as to how frequently it should
 14 occur? And your answer may depend on what
 15 type of training you're offering, I would
 16 think.
 17 DR. COLESHAW:
 18 A. I mean, I certainly don't think it should be
 19 any longer than the sort of three to four
 20 years maximum and I think OPITO is officially
 21 four, though I think most are called up for
 22 their training after three years and it just
 23 gives a little bit of leeway that if they
 24 can't do it immediately. So I certainly
 25 wouldn't want to see it any longer than that.

Page 111

1 I'm not sure that we've got sufficient
 2 knowledge as to set what the optimum time
 3 period is before that. There's one study done
 4 in Australia where they felt it should be less
 5 than two years, but we don't really know the
 6 implications of bringing it down, whether that
 7 would, in the long term, really improve
 8 retention of skills. I think more work is
 9 needed in that area.
 10 MR. MARTIN:
 11 Q. Those are my questions, and like previous
 12 questioners, I thank you for your contribution
 13 to the Commission and wish you all the best.
 14 Thank you.
 15 COMMISSIONER:
 16 Q. Okay, thank you, Mr. Martin. The estates of
 17 the pilots, Ms. O'Brien?
 18 DR. SUSAN COLESHAW, EXAMINATION BY MS. KATE O'BRIEN
 19 MS. O'BRIEN:
 20 Q. Yes, thank you. Good afternoon, Dr. Coleshaw.
 21 DR. COLESHAW:
 22 A. Good afternoon.
 23 MS. O'BRIEN:
 24 Q. My name is Kate O'Brien. I'm here today
 25 representing the families of the deceased

Page 112

1 flight crew, so my issues will largely centre
 2 on those having to do with pilots/copilots.
 3 DR. COLESHAW:
 4 A. Um-hm.
 5 MS. O'BRIEN:
 6 Q. I want to start with a comment you made in the
 7 course of your presentation on the colour of
 8 suits worn by flight crew.
 9 DR. COLESHAW:
 10 A. Um-hm.
 11 MS. O'BRIEN:
 12 Q. And if I understood you correctly, what you
 13 said was that you seemed to have some concern
 14 that flight crew tend to wear a -- in our
 15 jurisdiction, I think, a navy coloured suit.
 16 I think it's similar perhaps in the UK, is it?
 17 DR. COLESHAW:
 18 A. I think navy is quite a common colour, yes.
 19 MS. O'BRIEN:
 20 Q. Okay. Can you just maybe expand on that a
 21 little bit and you know, tell us what --
 22 really what the issue is and why aren't pilots
 23 all in, you know, bright yellow jumpsuits?
 24 DR. COLESHAW:
 25 A. The issue is obviously location of the

Page 113

1 individuals in the water following an accident
 2 and I raised it because it was a point made in
 3 a recent accident report from the UK issued by
 4 the Accident Investigation Branch in the UK,
 5 and that was a crash in the Irish Sea, and
 6 they commented that it was much easier to spot
 7 the passengers in the yellow suits than the
 8 pilots in their dark suits. So yeah, that is
 9 a major issue.
 10 In terms of why that's the case, I'm not
 11 really certain why those supplying suits for
 12 pilots haven't seen it as an issue. I think
 13 one of the differences is that the pilots are
 14 wearing their suits every day and they want
 15 something that they feel comfortable in. In
 16 the past, I've heard comments that they want
 17 to look smart and that a navy uniform, I
 18 suspect it's almost coming from the days
 19 before they wore suits. They want to stand
 20 apart. I suspect that the question has just
 21 never really been looked at as to should they
 22 be wearing a suit that makes them more visible
 23 in the event of an accident.
 24 MS. O'BRIEN:
 25 Q. So you don't know that anyone has studied this

Page 114

1 issue?
 2 DR. COLESHAW:
 3 A. I suspect not. I don't know that it's been
 4 investigated.
 5 MS. O'BRIEN:
 6 Q. Okay. In the course of your presentation, you
 7 reviewed some of the standards and I think
 8 they're actually listed on page 9 of 47 of
 9 your report, the immersion suit standards.
 10 You had them listed there, and from that list,
 11 I take it that in Canada there is no standard
 12 for flight crew suits. Is that correct?
 13 DR. COLESHAW:
 14 A. I'm not aware of a separate standard for
 15 flight crew suits.
 16 MS. O'BRIEN:
 17 Q. Okay. You have listed here, under the
 18 Canadian standard, maybe I'll give time for
 19 the Registrar to bring up that page, 9 of 47.
 20 There it is. I see there that the first
 21 standard listed, the CAA standard, that is a
 22 UK standard, correct?
 23 DR. COLESHAW:
 24 A. Yeah.
 25 MS. O'BRIEN:

Page 115

1 Q. Okay.
 2 DR. COLESHAW:
 3 A. Which has now been superseded.
 4 MS. O'BRIEN:
 5 Q. Yes, I understood your -- yes. Then the next
 6 one is the CGSB. That's the Canadian
 7 standard, right?
 8 DR. COLESHAW:
 9 A. Yeah.
 10 MS. O'BRIEN:
 11 Q. Okay, and so that says, you know, helicopter
 12 passenger transportation suit systems, and
 13 there's none others that you've identified
 14 there as being Canadian standards. So is it
 15 your understanding that in terms of Canadian
 16 standards, that's what we have, it's a
 17 passenger suit standard as opposed to a flight
 18 crew suit standard?
 19 DR. COLESHAW:
 20 A. It's a good point. I didn't go looking to see
 21 if there was a crew standard, but I've not
 22 been aware of a separate standard certainly,
 23 so I'm not familiar with there being one.
 24 MS. O'BRIEN:
 25 Q. Okay, and I don't -- my understanding is there

Page 116

1 isn't one either, from previous witnesses. So
 2 in terms of what's going on in Europe now, the
 3 CAA spec No. 19, you say that has been
 4 preceded now by these two EASA standards?
 5 DR. COLESHAW:
 6 A. Yeah.
 7 MS. O'BRIEN:
 8 Q. Is that right?
 9 DR. COLESHAW:
 10 A. That's right.
 11 MS. O'BRIEN:
 12 Q. Okay, and I notice these standards, these EASA
 13 standards, as well as the old CAA spec No. 19,
 14 these are standards that deal with crew and
 15 passengers. Is that right?
 16 DR. COLESHAW:
 17 A. Yes. Yes, the new EASA, in fact the old spec
 18 19 was purely for crew, because they were the
 19 only ones who were required by regulation to
 20 wear suits, and it's only since the transfer
 21 to EASA that -- or I think in the previous
 22 aviation requirements in Europe, referred to
 23 as JAR-OPS, which are very similar to the FAA
 24 operational procedures, that was the first
 25 time that it brought in requirements for suits

Page 117

1 to be worn by passengers. So crew immersion
 2 suits were the priority in the early 90s.
 3 MS. O'BRIEN:
 4 Q. Did any of these -- do any of these standards,
 5 these European standards include
 6 specifications with respect to colour?
 7 DR. COLESHAW:
 8 A. I don't remember colour specifically being
 9 mentioned, and in the aviation standards, I'm
 10 trying to think if it actually says that they
 11 should be conspicuous. I'll have to check
 12 back on that one.
 13 MS. O'BRIEN:
 14 Q. Sure, yeah, okay. All right.
 15 DR. COLESHAW:
 16 A. I think conspic -- it's a hell of a word,
 17 conspicuity certainly is a word that comes up
 18 in the European and international standards
 19 for immersion suits in general, the ISO
 20 standards, but I can't remember it being in
 21 the aviation suit standards.
 22 MS. O'BRIEN:
 23 Q. I mean, navy blue might be slimming, but it's
 24 not conspicuous, right. Okay. All right. It
 25 seems to be -- it seems odd to me that that

Page 118

1 hasn't been looked at a little bit more,
 2 because it -- okay. When I mentioned this
 3 issue earlier to counsel for Cougar, he
 4 indicated that there may be some issue with
 5 reflection on brighter suits in the cockpits.
 6 Are you aware of that or not?
 7 DR. COLESHAW:
 8 A. I mean, that's a comment that's been made
 9 before.
 10 MS. O'BRIEN:
 11 Q. Okay.
 12 DR. COLESHAW:
 13 A. So yeah, there could be some very specific
 14 reasons for not having the very light, bright
 15 suits.
 16 MS. O'BRIEN:
 17 Q. I suppose until someone studies it, no one's
 18 really going to know.
 19 DR. COLESHAW:
 20 A. That's right, yes, and I think, yeah, the
 21 cockpit, they're much more exposed to the
 22 effects of sunlight than passengers in the
 23 cabin behind.
 24 MS. O'BRIEN:
 25 Q. After the accident, the Irish Sea accident,

Page 119

1 are you aware whether anyone is looking at
 2 undertaking this kind of research?
 3 DR. COLESHAW:
 4 A. I'm not aware of anything, no.
 5 MS. O'BRIEN:
 6 Q. I just want to also talk to you a bit about
 7 spray hoods. You talked earlier today that
 8 spray hoods can be a very important piece of
 9 safety equipment. So could you maybe just
 10 recap your evidence on spray hoods for me?
 11 DR. COLESHAW:
 12 A. All right. Well, in terms of protection from
 13 drowning, there are two sort of issues. Yeah,
 14 one is obviously if the head is underwater,
 15 you're highly -- at high risk from drowning.
 16 So that's where you're looking for buoyancy to
 17 support the head, but once you're floating on
 18 your back with the head well supported, then
 19 you're still at high risk, particularly from
 20 breaking waves. So any water splashing over
 21 the face puts your airways at risk of
 22 ingesting water. Now if you're conscious, you
 23 can look for wave, particularly if you're
 24 facing the waves, you can see a wave coming
 25 towards you and in that case, you'd make sure

Page 120

1 your mouth was closed and take a breath as
 2 that's washed over. Of course, that becomes a
 3 problem if you're losing consciousness and
 4 you're no longer able to protect yourself in
 5 that way. So spray hoods then become a very
 6 important part of protecting yourself from
 7 this water splash over the face.
 8 MS. O'BRIEN:
 9 Q. Would spray hoods be more important in higher
 10 sea states?
 11 DR. COLESHAW:
 12 A. Yes.
 13 MS. O'BRIEN:
 14 Q. Okay, and do you know whether the pilots, the
 15 flight crew in the UK, do they have spray
 16 hoods as part of their immersion suits or
 17 protective equipment?
 18 DR. COLESHAW:
 19 A. I'm fairly sure there's a spray hood on the
 20 lifejacket. In the UK, we're having separate
 21 lifejackets, so where there is a spray hood,
 22 it's always on the lifejacket, and 99 percent
 23 sure there is a spray hood on the pilot's
 24 lifejacket.
 25 MS. O'BRIEN:

Page 121

1 Q. Are you aware that our flight crew here don't
 2 have spray hoods with their protective
 3 equipment?
 4 DR. COLESHAW:
 5 A. I wasn't aware of that.
 6 MS. O'BRIEN:
 7 Q. Does that surprise you?
 8 DR. COLESHAW:
 9 A. Yes.
 10 MS. O'BRIEN:
 11 Q. Yes.
 12 DR. COLESHAW:
 13 A. Well, as I said, there had been a lot of
 14 resistance in the past to spray hoods and I
 15 think design of spray hoods has improved
 16 immensely over the last -- the new designs
 17 were coming in about ten years ago, so there
 18 has been a bit of improvement in the last ten
 19 years.
 20 MS. O'BRIEN:
 21 Q. Are you aware whether spray hoods are
 22 addressed by the EASA standard?
 23 DR. COLESHAW:
 24 A. Yes, there is a requirement in there, sure,
 25 for spray hoods.

Page 122

1 MS. O'BRIEN:
 2 Q. And that would be for flight crew as well.
 3 DR. COLESHAW:
 4 A. Yes, that would apply to both. I'll just
 5 qualify that, that is probably in the life
 6 jacket standard which I've not listed here and
 7 potentially is not one in the suit--I'll have
 8 to check in the integrated suit standard--
 9 actually it won't be in the integrated suit
 10 standard, it won't be in the one that's
 11 entitled "Helicopter Crew and Passenger
 12 Immersion Suits".
 13 MS. O'BRIEN:
 14 Q. Just to be clear, my purpose here today is not
 15 to try and trip you up or to trick you to
 16 either say something, so if there's ever after
 17 your testimony that you realize that you mis-
 18 stated or you went back and checked something,
 19 I know that the Commission counsel and the
 20 Commissioner, every one would be more than
 21 pleased to hear from you.
 22 DR. COLESHAW:
 23 A. Sure. I'm fairly certain that it is in the
 24 EASA Life Jacket Standard, the one I would
 25 have to check again would be in the integrated

Page 123

1 suit where it's assumed that the buoyancy is
 2 part of the suit. I'd be surprised if there
 3 isn't a spray hood in that standard, so I
 4 would need to check that.
 5 MS. O'BRIEN:
 6 Q. Okay, it's of interest to me because knowing
 7 that you're either telling us that the pilots
 8 on the other side have spray hoods as part of
 9 their equipment, but hearing that it's an
 10 important piece of safety equipment or hearing
 11 it's particularly important in higher sea
 12 states which we know in this jurisdiction we
 13 get high sea states and we also know that our
 14 pilots don't have those spray hoods, so it
 15 seems to me an issue that might be begging for
 16 a little further research.
 17 DR. COLESHAW:
 18 A. Uh-hm.
 19 MS. O'BRIEN:
 20 Q. To find out if we do have the best practice
 21 here.
 22 DR. COLESHAW:
 23 A. Yes, I mean, I'll certainly recommend that
 24 spray hoods would be of great benefit.
 25 MS. O'BRIEN:

Page 124

1 Q. Okay. I take from your testimony generally
 2 that what you had done is sort of given a
 3 fairly--I won't say a high level, but a sort
 4 of academic look at, in particular with issue
 5 one, with the safety equipment, but that you
 6 haven't gone and looked at what is happening
 7 on the ground in the Newfoundland and Labrador
 8 offshore?
 9 DR. COLESHAW:
 10 A. I had a fairly limited time period to prepare
 11 the report and due to other work that was
 12 ongoing at the time, so I have to do it on the
 13 basis of my existing knowledge, rather than
 14 being able to do some new research and really
 15 spend time looking at the Canadian situation.
 16 So my report was more written from my current
 17 position, rather than doing any new work.
 18 MS. O'BRIEN:
 19 Q. Okay, the reason I ask, we--Cougar who operate
 20 the helicopters here in this jurisdiction,
 21 they testified earlier at this Inquiry and I
 22 asked them to provide the Inquiry with the
 23 specifications for the suits that their pilots
 24 are wearing and they have gone with a, what
 25 they call a three-layer approach, so that the

Page 125

1 first layer is an undergarment which is like a
 2 Stanfield's long underwear type garment and
 3 then they have an air crew flight suit which
 4 is a second layer of protection and I think
 5 this has a fire retardant capability.
 6 DR. COLESHAW:
 7 A. Yes.
 8 MS. O'BRIEN:
 9 Q. And then the third is their immersion suit,
 10 the pilot immersion suit which is a suit
 11 supplied by Viking, the Viking model PS4177.
 12 Are you at all familiar with that suit?
 13 DR. COLESHAW:
 14 A. I haven't worked with that particular one.
 15 MS. O'BRIEN:
 16 Q. Okay. I notice in the literature that Cougar
 17 provided and in the literature that they
 18 provided on the suit itself, it doesn't talk
 19 about, it doesn't address that it is compliant
 20 with any specific standards, so the literature
 21 from the company as provided, it doesn't say
 22 this suit is compliant with the EASA standard
 23 or the Spec. 19 standard. Does that surprise
 24 you?
 25 DR. COLESHAW:

Page 126

1 A. Yes, slightly. I would have thought there was
 2 always a benefit for all manufacturers to be
 3 able to say that any piece of PPE that they're
 4 supplying is approved to a certain standard.
 5 MS. O'BRIEN:
 6 Q. Okay, here is--this is what Cougar provide and
 7 I'm going to ask you to give your comments on
 8 this, with respect to the pilot immersion
 9 suits, they talk about "there is no standard
 10 used for reference to pilot survival suits by
 11 either the FAA or Transport Canada. They are
 12 a product which has been developed out of
 13 necessity over decades of work with airforce
 14 and private aircraft operators based on the
 15 unique requirements of each. Designs follow
 16 common industry practices, but there is not a
 17 standard performance criteria for them at this
 18 time. The EASA is working on a new ETSO-2C502
 19 and ETSO-2C503 for helicopter crew and
 20 passenger immersion suit systems, but that is
 21 not expected to come into force until sometime
 22 in late 2010. That may even be optimistic.
 23 There are some flag states which seem
 24 reluctant to make the adoption." So, I'm
 25 putting this to you because you, you know,

Page 127

1 having talked about those standards in your
 2 report and listed those as standards. So what
 3 I just read out to you there, do you agree
 4 with those statements that are coming from
 5 Cougar?
 6 DR. COLESHAW:
 7 A. I'm surprised with the comment about 2010 and
 8 the standards were published in 2006.
 9 MS. O'BRIEN:
 10 Q. Okay, have they come into force?
 11 DR. COLESHAW:
 12 A. Yes.
 13 MS. O'BRIEN:
 14 Q. Yes.
 15 DR. COLESHAW:
 16 A. Well within the European jurisdiction.
 17 MS. O'BRIEN:
 18 Q. Okay. Has there been flag states which have
 19 been reluctant to adopt them?
 20 DR. COLESHAW:
 21 A. I don't know that, I mean with this type of
 22 standard, it isn't--unless it's within things
 23 like airworthiness requirements, then there
 24 wouldn't be any other legal requirement to
 25 meet a standard, so within Europe personal

Page 128

1 protective equipment has to be, it has to have
 2 what's called a C mark, which means that the
 3 manufacturers put together a technical case
 4 for approval of that piece of equipment. Now
 5 the usual way to demonstrate compliance,
 6 normally that would be with what's called a
 7 personal protective equipment directive, which
 8 is a European directive. The normal way of
 9 showing compliance with that directive is to
 10 use an appropriate standard, so that's what
 11 would apply for something like the ISO suit
 12 standard as somebody who is producing a
 13 general suit standard. The aviation industry
 14 is slightly different, so within the UK, it
 15 would be the CAA that required an ETSO
 16 standard suit or it would come under the EASA
 17 requirements. So I think it would be further
 18 jurisdictions to say from this date we require
 19 you to have a suit meeting this particular
 20 standard.
 21 MS. O'BRIEN:
 22 Q. Okay.
 23 DR. COLESHAW:
 24 A. So I'm possibly mixing up the difference
 25 between the publication of the standard and

Page 129

1 when it would be required by, airworthiness
 2 requirements within a particular jurisdiction.
 3 MS. O'BRIEN:
 4 Q. Okay. But in the UK now, is it required--if
 5 you were putting out a new suit, is it
 6 required to meet that standard now.
 7 DR. COLESHAW:
 8 A. Actually no because it's one of those things
 9 of grandfathering rights in terms of the old
 10 Spec. 19.
 11 MS. O'BRIEN:
 12 Q. That would be for pre-existing suits, how
 13 about a new suit being -
 14 DR. COLESHAW:
 15 A. If there was a new suit produced by a
 16 manufacturer, to get that suit approved for
 17 use they would now have to use the ETSO,
 18 rather than the old Spec. 19.
 19 MS. O'BRIEN:
 20 Q. Okay, so that is in effect in the UK now for
 21 new suits, you have got to follow that
 22 standard. The reason--the point of these
 23 questions is certainly when we've been
 24 discussing suits generally at this Inquiry,
 25 there seems to be generally be evidence as,

Page 130

1 well more focused on passenger suits and the
 2 impression that I've been given from a number
 3 of witnesses is that, you know, passenger
 4 suits are very different than flight crew
 5 suits, flight crew suits have very different
 6 requirements, whoever has been talking at a
 7 various time has sort of felt that they didn't
 8 have the expertise to talk about what was
 9 needed for flight crew. Do you see that big
 10 distinction between passenger suits and flight
 11 crew suits?
 12 DR. COLESHAW:
 13 A. I think certainly in the UK it would possibly
 14 be a difference because of an industry that
 15 have been driven by the offshore industry,
 16 rather than being driven by the aviation
 17 regulator and maybe that's a lack of joined up
 18 thinking between the offshore industry and the
 19 pilot, you have groups responsible for the
 20 pilots that they're not following the trends
 21 that the industry are pushing for their
 22 workforce.
 23 MS. O'BRIEN:
 24 Q. Okay, so there's no--what I'm hearing in that
 25 answer is that it's two different groups, the

Page 131

1 air regulators really in some ways may be not
 2 keeping up with what's going on for the oil
 3 regulators are doing and putting funding into
 4 their workforce suits, their passenger suits,
 5 but that it has to do more--it doesn't have
 6 something to do necessarily with the vastly
 7 different requirement of these two -
 8 DR. COLESHAW:
 9 A. No, because I think the requirements,
 10 certainly the risk in terms of immersion in
 11 cold water are exactly the same for the two.
 12 MS. O'BRIEN:
 13 Q. Okay. With respect to your issue No. 1 which
 14 is our issue No. 13, the issue was what
 15 personal protective equipment and clothing is
 16 necessary for helicopter passengers and
 17 pilots? And I'm just going to stop there for
 18 a moment. One of the pieces of protective
 19 equipment that was not addressed in your
 20 report was helmets and I know that that would
 21 really be a flight crew issue.
 22 DR. COLESHAW:
 23 A. Uh-hm.
 24 MS. O'BRIEN:
 25 Q. Can you just comment, you know, is it not in

Page 132

1 your report because you don't think it's
 2 necessary or is it just wasn't in the scope
 3 of what you were looking at or whatever?
 4 DR. COLESHAW:
 5 A. I'm assume it was not one I thought of as
 6 being--probably because most of my work has
 7 been concerned more with passengers than
 8 pilots, so it's not something I've got any
 9 experience of and so that's probably oversight
 10 on my part in terms of what would be required
 11 by the crew.
 12 MS. O'BRIEN:
 13 Q. Okay. The other thing just reading on issue
 14 No. 13, the next part is what are the
 15 standards which you've addressed in that
 16 section of your report and some others, and
 17 should the C-NLOPB require guidelines to
 18 ensure such equipment and clothing is properly
 19 fitted. That part of the issue, although that
 20 full issue appears in your report, that second
 21 part, what the C-NLOPB should do, wasn't
 22 really addressed in your report. Can you just
 23 give us some comment on that?
 24 DR. COLESHAW:
 25 A. Well in terms of whether they should be well

Page 133

1 fitted.

2 MS. O'BRIEN:

3 Q. Well the issue as it reads, it says what are

4 the standards and should the C-NLOPB require

5 guidelines to ensure that such equipment and

6 clothing is properly fitted. In that whole

7 last section there, it hasn't been addressed

8 by you either in your report or your

9 testimony.

10 DR. COLESHAW:

11 A. I just don't know how to answer that. I mean,

12 I certainly think that there should be

13 guidelines there to ensure the best protection

14 of the individuals, whether they be crew or

15 passengers. But I think guidelines would be

16 beneficial.

17 MS. O'BRIEN:

18 Q. Okay. And I'm almost done here and I thank

19 you for your time. One of the other things

20 that struck me when I was looking at the specs

21 for the flight crew suits, these Viking suits,

22 nowhere on the specs that I was provided for

23 any of the layers does it give any numbers

24 with respect to a thermal protection, so

25 there's--I have no clothes here, I don't have

Page 134

1 any numbers here with respect to buoyancy, I

2 have no neutons. Does that surprise you that

3 the specs that we've been provided don't have

4 those, from your presentation it seems to me,

5 critical numbers.

6 DR. COLESHAW:

7 A. Uh-hm. I think if you're going to do a risk

8 assessment of what you're going to provide

9 then I think you'd need to know what the water

10 temperatures were and what level of protection

11 was needed to protect the individuals. In

12 terms of the actual suit itself, it would

13 probably depend on the design of the suit. If

14 it's just a coverall design of the suit, as I

15 am not familiar with the suit number you're

16 talking about, but if it's just a coverall,

17 then there's very little inherent insulation

18 in a suit of that type and then it is

19 dependent on what's worn underneath as to how

20 much insulation you've got, which wouldn't be

21 specified by the manufacturer in that case.

22 MS. O'BRIEN:

23 Q. Someone would have to put these elements

24 together, test them and find out, right?

25 DR. COLESHAW:

Page 135

1 A. Yes, so you're looking at the whole system.

2 MS. O'BRIEN:

3 Q. And would you recommend that when someone is

4 putting together a full system that they do

5 testing on that full system to find out

6 exactly what they're getting in terms of

7 thermal protection, what they're getting in

8 terms of buoyancy?

9 DR. COLESHAW:

10 A. I'd think so and I think the added element is

11 I think you'd, as well as looking at the cold

12 water performance, you'd certainly have to

13 look at thermal stress in the cockpit as being

14 an issue.

15 MS. O'BRIEN:

16 Q. Yes.

17 DR. COLESHAW:

18 A. There has been some work done in measuring

19 temperatures in cockpits and looking at that,

20 but in terms of these, yeah, these balancing

21 acts I think was, again, an issue and it's

22 perhaps why pilots have got less protection in

23 terms of thermal insulation in the suits, you

24 know, on a day-to-day basis they're exposed to

25 those warm cockpit temperatures and, you know,

Page 136

1 maybe the balance there is much more towards

2 what they're wearing, they're wearing it for

3 work "x" hours a day and not just for a couple

4 of hours every couple of weeks, so yeah, I

5 think there are different issues that would

6 have to be addressed.

7 MS. O'BRIEN:

8 Q. Have to be addressed, sure.

9 MS. O'BRIEN:

10 Q. Would you agree with me until somebody

11 actually studies and puts some numbers around

12 this and does some actual testing, you know,

13 trying to make that assessment based on

14 anecdotal evidence is not all that effective?

15 DR. COLESHAW:

16 A. It's difficult.

17 MS. O'BRIEN:

18 Q. All right, thank you very much. Those are my

19 questions.

20 COMMISSIONER:

21 Q. Thank you Ms. O'Brien. Counsel for C-NLOPB?

22 DR. SUSAN COLESHAW, EXAMINATION BY AMY CROSBIE

23 MS. CROSBIE:

24 Q. Good afternoon, my name is Amy Crosbie and I

25 am counsel for Canada Newfoundland and

Page 137

1 Labrador Offshore Petroleum Board, the
 2 regulator in this jurisdiction. I only
 3 actually have a couple of things I wanted to
 4 confirm with you. In talking about the
 5 research studies that are ongoing with respect
 6 to the EBS technical standard, crash
 7 worthiness, floatation and then also some of
 8 the human factors that you were involved in, I
 9 just wanted to confirm that those studies are
 10 actually commissioned by the Civil Aviation
 11 Authority?
 12 DR. COLESHAW:
 13 A. Yes, up until--the last of the studies was
 14 EASA.
 15 MS. CROSBIE:
 16 Q. And that's the European Aviation Safety
 17 Authority?
 18 DR. COLESHAW:
 19 A. European Aviation Safety Agency.
 20 MS. CROSBIE:
 21 Q. Agency, and so are they the equivalent of the
 22 Civil Aviation Authority?
 23 DR. COLESHAW:
 24 A. Well they're now the European regulators, so
 25 they've taken on a lot of the responsibility

Page 138

1 that originally was delegated to the member
 2 states. A lot more of that responsibility has
 3 now been pushed up to the European agency.
 4 MS. CROSBIE:
 5 Q. And you also indicated that you were aware
 6 that the Civil Aviation Authority had had some
 7 meetings several years ago with the US
 8 counterpart.
 9 DR. COLESHAW:
 10 A. Uh-hm.
 11 MS. CROSBIE:
 12 Q. Are you aware if Transport Canada has been
 13 involved in any of these studies?
 14 DR. COLESHAW:
 15 A. I don't know.
 16 MS. CROSBIE:
 17 Q. Just one other point, with respect to what is
 18 worn by the flight crew in your jurisdiction,
 19 am I correct in that it is the Aviation
 20 Authority who would call up a particular
 21 standard for the crew?
 22 DR. COLESHAW:
 23 A. Yes, that now has also shifted to -
 24 MS. CROSBIE:
 25 Q. The European -

Page 139

1 DR. COLESHAW:
 2 A. - the European regulator, yeah.
 3 MS. CROSBIE:
 4 Q. Those are all my questions.
 5 COMMISSIONER:
 6 Q. Okay, thank you Ms. Crosbie. Are there any
 7 other questions? I see you rising.
 8 MR. SPENCER:
 9 Q. Yes, Commissioner, if I may just have a couple
 10 of questions arising?
 11 COMMISSIONER:
 12 Q. Yes, absolutely.
 13 DR. SUSAN COLESHAW, EXAMINATION BY MR. GEOFFREY SPENCER
 14 MR. SPENCER:
 15 Q. Hello Ms. Coleshaw, my name is Geoffrey
 16 Spencer, I'm the solicitor for Helly Hansen.
 17 I just have a couple of questions that arise
 18 from some questions that were asked of you by
 19 Mr. Earle.
 20 DR. COLESHAW:
 21 A. Uh-hm.
 22 MR. SPENCER:
 23 Q. Now he had asked you some questions about the
 24 fitting of the suit and he had stated that it
 25 was important to pay close attention to the

Page 140

1 fitting of the suits. And he had asked you,
 2 he had made a statement that the E452 suits,
 3 there were some problems with bulkiness of the
 4 suit. I understood from your paper, I guess,
 5 in your principle of personal accountability
 6 that there would be some responsibility on the
 7 individual to ensure they have a proper
 8 fitting suit.
 9 DR. COLESHAW:
 10 A. Well I think to ensure they have the correct
 11 size. I think if they had been told your size
 12 is a medium, that our responsibility to making
 13 sure they were issued with a medium. I don't
 14 think they could have responsibility for
 15 whether that was a good fit or not.
 16 MR. SPENCER:
 17 Q. If you had an individual who had a medium size
 18 suit and found that it was bulky, there would
 19 be some obligation--there's some
 20 responsibility on the individual to go back
 21 and ask for a smaller suit?
 22 DR. COLESHAW:
 23 A. I think it would be sensible for the
 24 individual to say is there a smaller suit that
 25 will fit me?

Page 141

1 MR. SPENCER:
 2 Q. Sure.
 3 DR. COLESHAW:
 4 A. But I think that would be the start of the
 5 process, I mean, I think that's when you
 6 establish what is the correct size of suit for
 7 that individual, I think that would depend on
 8 how that was managed.
 9 MR. SPENCER:
 10 Q. Okay, and are you aware that in the last year
 11 Helly Hansen has been contracted by the
 12 operators to do individual suit fittings of
 13 every offshore worker before clearing that
 14 worker to fly?
 15 DR. COLESHAW:
 16 A. I wasn't aware of that.
 17 MR. SPENCER:
 18 Q. You weren't aware of that.
 19 DR. COLESHAW:
 20 A. No.
 21 MR. SPENCER:
 22 Q. That type of individual suit fitting of every
 23 worker, to your knowledge has that been done
 24 anywhere else in the world?
 25 DR. COLESHAW:

Page 142

1 A. I don't know specifically, I'm just trying to
 2 think, I'm not sure how it's actually managed
 3 in the UK, I suspect it's down to the
 4 individual to give their dimensions, rather
 5 than being specifically measured.
 6 MR. SPENCER:
 7 Q. Sure, normally I guess the suit manufacturer
 8 would provide a range of sizes and then it
 9 would be up to the individual to choose the
 10 suit, I guess, that they would want to wear,
 11 would you agree with that?
 12 DR. COLESHAW:
 13 A. I think that would be the more normal
 14 practice.
 15 DR. COLESHAW:
 16 A. Sure. So this--these individual suit fittings
 17 that are now occurring here in Newfoundland,
 18 that's something that's certainly well beyond
 19 what you would normally see in the industry,
 20 would you agree?
 21 DR. COLESHAW:
 22 A. I would have thought so.
 23 MR. SPENCER:
 24 Q. Okay. You were referred to some photos that
 25 showed some folds, I guess, in the suits

Page 143

1 around the knee area in particular, I think.
 2 DR. COLESHAW:
 3 A. Uh-hm.
 4 MR. SPENCER:
 5 Q. Would you agree that you need a certain amount
 6 of flexibility in the suit for mobility
 7 purposes?
 8 DR. COLESHAW:
 9 A. That is certainly true, yes.
 10 MR. SPENCER:
 11 Q. And I guess, because if you had, you could
 12 have a perfectly skin tight suit, but the
 13 individual wouldn't be able to sit down,
 14 wouldn't be able to move very well.
 15 DR. COLESHAW:
 16 A. I mean, certainly if it was skin tight and
 17 there was no elastics of any form and no
 18 shaping, yes, that would certainly be true.
 19 MR. SPENCER:
 20 Q. Sure.
 21 DR. COLESHAW:
 22 A. And I think a lot of tailoring makes suits
 23 much more expensive, so I can see why there
 24 isn't an excessive amount of tailoring in
 25 terms of shaping.

Page 144

1 MR. SPENCER:
 2 Q. You were referred as well to some buoyancy
 3 issues. Would you agree that these individual
 4 suit fittings that are now being done before
 5 workers are cleared to fly, does that help
 6 address some of the buoyancy issues, in terms
 7 of trapped air?
 8 DR. COLESHAW:
 9 A. It should help to address some of the
 10 problems, again I think another question for
 11 me is the range of sizes, I think the more
 12 options you've got, the better fit that you
 13 can achieve. So I think there's still going
 14 to be some individuals who are going find it
 15 quite hard sometimes to fit to a particular
 16 suit size, particularly in terms of girth,
 17 you're going to have to go to the maximum
 18 rather than the minimum.
 19 MR. SPENCER:
 20 Q. Yes, okay. And I take it it would not be
 21 standard, I guess, to custom make a suit for
 22 every individual, would it?
 23 DR. COLESHAW:
 24 A. It's certainly not normal practice, I think
 25 again there are some situations where custom-

Page 145

1 made suits might be made for certain
 2 individuals where they were particularly
 3 frequent flyers and they have particular
 4 needs, so I know made to measure suits are
 5 made for them, but it's a very small
 6 proportion only in the UK.
 7 MR. SPENCER:
 8 Q. Sure. Okay, those are my questions, thank
 9 you.
 10 COMMISSIONER:
 11 Q. Okay, thank you Mr. Spencer. Mr. Stamp, you
 12 reserved a right to ask a few questions or to
 13 say something, would you like to do so?
 14 STAMP, Q.C.:
 15 Q. No, I think actually the issues that we had a
 16 concern about were addressed adequately.
 17 COMMISSIONER:
 18 Q. Okay then, thank you. Well Dr. Coleshaw,
 19 thank you very, very much for coming and
 20 giving us the benefit of your knowledge and
 21 research, it's been very helpful.
 22 DR. COLESHAW:
 23 A. Thank you.
 24 COMMISSIONER:
 25 Q. Thank you. Now, Mr. Roil.

Page 146

1 ROIL, Q.C.:
 2 Q. Yes, Commissioner, the next witness is Michael
 3 Taber, had we ended a few minutes earlier, I
 4 would have asked for a break and then started
 5 him and then broken at 1:00, but I'm wondering
 6 in view of the proximity to 1:00, whether we
 7 might break now and come back a few minutes
 8 earlier to get as much time -
 9 COMMISSIONER:
 10 Q. I think it's a good idea. It's a good thing
 11 we're only here for a limited number of days
 12 so we don't bring the lunch hour forward.
 13 ROIL, Q.C.:
 14 Q. I wouldn't do a run because I have twenty to
 15 one, but -
 16 COMMISSIONER:
 17 Q. Well let's come back then at--what time is it
 18 now--at quarter to two, that would give you
 19 time and Mr. Taber to be present.
 20 ROIL, Q.C.:
 21 Q. Yes, absolutely.
 22 (RECESS)
 23 COMMISSIONER:
 24 Q. Yes, Mr. Roil.
 25 ROIL, Q.C.:

Page 147

1 Q. Thank you, Commissioner. Having started with
 2 the consultant from Australia via Washington,
 3 D.C. and then moved to the United Kingdom, we
 4 decided it was also prudent to have somebody
 5 from Canada and so I would like to introduce
 6 Mr. Michael Taber who comes from us Ontario
 7 and he will be the next consultant and the
 8 next witness. There will be three exhibits
 9 that we will be referring to from Mr. Taber,
 10 one would be his curriculum vitae, the second
 11 will be his report and the third will be the
 12 PowerPoint presentation which is what I will
 13 lead him through today. I have to say to you
 14 and to those present that there is a small
 15 change in the report, not in the PowerPoint
 16 presentation but in the report itself, and we
 17 will deal with that when we come to it and I
 18 will ask the security gentleman here to
 19 provide copies to all the parties, the
 20 Commissioner as well, one for him. Mr. Taber
 21 already has one and one for the clerk. While
 22 that is being given out, Mr. Taber, you are
 23 Michael John Taber?
 24 MR. TABER:
 25 A. Yes, I am.

Page 148

1 ROIL, Q.C.:
 2 Q. I understand that you are going to be a
 3 witness here today and that you are prepared
 4 to take an affirmation with respect to your
 5 evidence and I would ask the Registrar if she
 6 would read to you the affirmation please?
 7 MR. MICHAEL TABER (AFFIRMED), EXAMINATION BY JOHN ROIL,
 8 Q.C.
 9 ROIL, Q.C.:
 10 Q. Okay, the three exhibits are Exhibit No. 215
 11 which is the Michael Taber C.V., 216 which is
 12 the report that he prepared and 217 which is
 13 the PowerPoint presentation. Commissioner, I
 14 would ask you to admit them into evidence with
 15 the qualification that there will become a
 16 small change to the report and we have--the
 17 revised pages are dealt with and can be
 18 brought up by the Registrar. Okay, Mr. Taber,
 19 welcome and let's take a few moments to talk
 20 about you and who you are and why you're
 21 before us today. You live in St. Catherine's,
 22 Ontario?
 23 MR. TABER:
 24 A. Yes, I do.
 25 ROIL, Q.C.:

Page 149

1 Q. And what is your background and experience
 2 with respect to matters that might give rise
 3 to you being able give opinion evidence to
 4 this Inquiry?
 5 MR. TABER:
 6 A. Good afternoon, thank you. I think the start
 7 of my background is from military, X Airforce
 8 Airplane technician and during the period in
 9 military I became a safety diver, I did search
 10 and rescue safety diving for helicopter
 11 operations over the water which led me to
 12 taking a course at Survival Systems Training,
 13 at which time I sort of moved from the
 14 military to working for Survival for just shy
 15 of 14 years. During that time I went back to
 16 university, finished an undergrad, Masters and
 17 I almost completed a Ph.D, and working at
 18 Brock University.
 19 ROIL, Q.C.:
 20 Q. And so you are not yet a Ph.D., a doctor of
 21 philosophy?
 22 MR. TABER:
 23 A. No, I'm not.
 24 ROIL, Q.C.:
 25 Q. Okay, so I have to call you "Mister".

Page 150

1 MR. TABER:
 2 A. Yes.
 3 ROIL, Q.C.:
 4 Q. And that's fine. What was the subject of your
 5 doctoral thesis, which I gather has been done
 6 but is not yet through the final process.
 7 MR. TABER:
 8 A. The doctoral thesis is looking at emergency
 9 response and performance for offshore oil and
 10 gas, Canadian control management.
 11 ROIL, Q.C.:
 12 Q. And I understand you are currently a post
 13 doctoral fellow at Brock University?
 14 MR. TABER:
 15 A. Yes, I start next month.
 16 ROIL, Q.C.:
 17 Q. Okay, and that--you are working on a project,
 18 what is the title of that project?
 19 MR. TABER:
 20 A. The title of that project is changing daily,
 21 but we are looking at performance, cognitive
 22 and physiological performance in long-term
 23 cold exposure, so commercial aircraft for
 24 passenger vessels in the Arctic.
 25 ROIL, Q.C.:

Page 151

1 Q. Okay. As with Dr. Coleshaw we had to define
 2 an area of expertise and in conversations with
 3 Mr. Taber, we have come up with the following
 4 definition of his area of expertise, that is
 5 human factors and functional task analysis in
 6 underwater escape and evacuation. And so now
 7 with that definition of where your area of
 8 expertise is, what can you tell us about your
 9 background work, writings, experience,
 10 training, education, any of it that would lead
 11 you to be qualified to give us opinions on
 12 those things?
 13 MR. TABER:
 14 A. I guess I can start with the training
 15 background in my capacity at Survival Systems
 16 Training while I was there, I trained in
 17 excess of 10,000 individuals in underwater
 18 escape training, trained all over the world,
 19 did train the trainer programs for the
 20 military and civilian organizations. I have
 21 done extensive human factors research related
 22 to the skillset that's required for underwater
 23 escape, so that would include exactly what
 24 position an arm should be during a rollover,
 25 an eversion, how far they need to reach to

Page 152

1 grab an exit, if they're sitting in an isle
 2 seat, how many difficulties might they find if
 3 they have to go across an isle. So I've done
 4 extensive research on both civilian and
 5 military aircraft over the last ten years.
 6 ROIL, Q.C.:
 7 Q. And I note that some of your academic work has
 8 also followed the same sort of subjects? I
 9 draw your attention particularly perhaps to
 10 your academic awards and distinctions, which
 11 is on page 1 of your CV and in 2007, you seem
 12 to indicate that there's a best graduate oral
 13 presentation on the effect of emergency
 14 breathing systems during helicopter underwater
 15 escape training for a land force element of
 16 the standing contingency force.
 17 MR. TABER:
 18 A. Correct.
 19 ROIL, Q.C.:
 20 Q. And to those of us who are not engaged in the
 21 military, does that somehow or other relate to
 22 the military?
 23 MR. TABER:
 24 A. Absolutely, the standing contingency force is
 25 a group that was set up during the Second Gulf

Page 153

1 War and a number of military personnel, land
 2 force base personnel were required to be
 3 transported by helicopter from land base to
 4 ship, so that they could do ship boardings at
 5 sea in the Gulf of Oman, so prior to doing
 6 that, I guess standing them up and getting
 7 them ready, we tried to look at can they
 8 actually even egress as a unit, so 12
 9 individuals in the back of a modified Sea King
 10 helicopter with all of their equipment,
 11 weapons, everything else and say okay, we've
 12 modified the aircraft, let's stick them all in
 13 there and see if they can make their way out.
 14 ROIL, Q.C.:
 15 Q. Now back in 2006 you had a similar distinction
 16 awarded to you with respect to a presentation
 17 called "Simulated Underwater Helicopter
 18 Escapes, Anxiety Sensitivity and Human
 19 Performance." Was that in relation to
 20 military or was that in relation to civilian?
 21 MR. TABER:
 22 A. It's actually a combination of both and it's
 23 related to my Master's work in which I was
 24 looking at whether or not instructors could
 25 predict based on a small questionnaire anxiety

Page 154

1 levels, so that they were able to--and this
 2 was already mentioned earlier in the
 3 presentation today, are the instructors
 4 capable of being able to identify who is
 5 nervous and who is not or who is a little bit
 6 anxious about that and that work was really
 7 trying to identify if there is an actual
 8 measure that's out there that we can do that
 9 with because a lot of the psychological
 10 measures might be 30, 40, 70, 120 questions
 11 and we really didn't want to ask all of the
 12 offshore workers when they showed up on the
 13 first day this 120 questionnaire about
 14 anxiety. So we didn't want to prime them and
 15 say are you going to be anxious to do--well,
 16 maybe, so from that we realized that at this
 17 stage there isn't a measure that only has a
 18 few questions that would be able to help the
 19 instructors identify. So as it was mentioned
 20 earlier, it's really sort of a feeling that
 21 the instructors get from the participants that
 22 are going through the training.
 23 ROIL, Q.C.:
 24 Q. Right. Under your scholarly publications on
 25 page 3, you indicate peer review journals and

Page 155

1 the first one is Tabor, Simoes Re, and Power,
 2 J. and I gather that those are two individuals
 3 we may hear from tomorrow, that's something
 4 that you're actually working on jointly with
 5 them at the National Research Council?
 6 MR. TABER:
 7 A. It's actually completed, it's just waiting,
 8 it's been through review process and it's just
 9 waiting for a publication date at this point.
 10 ROIL, Q.C.:
 11 Q. That particular study, however, does not have
 12 to do with helicopter underwater escape or
 13 anything like that?
 14 MR. TABER:
 15 A. No, but it relates to human factors and
 16 performances skillset within a particular
 17 environment.
 18 ROIL, Q.C.:
 19 Q. With a different environment than -
 20 MR. TABER:
 21 A. Yes, it's a life boat in ice.
 22 ROIL, Q.C.:
 23 Q. That, Commissioner, is--Mr. Taber's C.V. is
 24 much more extensive than that, but many
 25 references to journals and to manuscripts

Page 156

1 either incomplete or completed already. I
 2 would not have any further questions for him
 3 at this time, unless somebody else from the
 4 group here would wish to ask him questions, I
 5 won't ask for a designation until we determine
 6 that there are no other questions.
 7 COMMISSIONER:
 8 Q. All right then, well ladies and gentlemen, you
 9 had an opportunity to read Mr. Tabor's C.V.,
 10 have any of you any questions? Okay, then Mr.
 11 Roil.
 12 ROIL, Q.C.:
 13 Q. Thank you. In that case, I would like Mr.
 14 Taber to be able to give opinion evidence to
 15 us on human factors and functional task
 16 analysis in underwater escape and evacuation.
 17 Now, Mr. Tabor, I am going to take you
 18 particularly to the PowerPoint presentation
 19 that you've prepared and I will not be taking
 20 you specifically to the report, except with
 21 respect to the area that you're requesting
 22 that a small change be allowed and when we get
 23 there, we'll deal with that, if that's okay?
 24 MR. TABER:
 25 A. Okay, yes.

Page 157

1 ROIL, Q.C.:

2 Q. Okay, so tell us what happened after you were

3 retained? What did you do to undertake this

4 assignment?

5 MR. TABER:

6 A. I was asked to look at five key factors and to

7 do that, I thought it was important to try and

8 contextualize those five key issues by looking

9 at some of the helicopter ditchings around the

10 world for the last ten years. So that took a

11 bit of work, obviously, to try and gather the

12 reports from various sources and as we get

13 into the presentation, I don't know if I can

14 bring that up or -

15 ROIL, Q.C.:

16 Q. Okay, I'll ask the Registrar to bring the

17 presentation up. I will bring you back a

18 page, though, to the outline and just take a

19 moment--are you going to be able to control it

20 perhaps from over there?

21 MR. TABER:

22 A. Yes, I will be able to control it from there.

23 ROIL, Q.C.:

24 Q. Okay, it's up there now.

25 MR. TABER:

Page 158

1 A. So basically when I was looking at the

2 outline, I wanted to be able to contextualize

3 exactly what was going on, so that when we're

4 thinking about the five factors or the five

5 issues, we think about it in a holistic

6 manner, as opposed to looking at it in one

7 main component verses another. And those five

8 issues obviously, because we've seen from the

9 report, we look at the additional operator

10 requirements, the helicopter underwater escape

11 training standards and I've shortened these a

12 little bit to make them fit onto the slide.

13 ROIL, Q.C.:

14 Q. Yeah, I was just going to say, to make them

15 fit on the slide. The additional operator

16 requirements is our issue for consideration,

17 No. 10, I believe.

18 MR. TABER:

19 A. Okay, and personal protective equipment

20 related to the suits and the fittings and

21 collaboration of the--or a collaborative

22 approach really to helicopter safety

23 initiatives and then look at personal

24 accountability, and then obviously as we go

25 through those five particular issues, then

Page 159

1 just to draw some conclusions from that based

2 on my past experience.

3 ROIL, Q.C.:

4 Q. Okay, well perhaps now you can move into your

5 introduction in the area and I think you told

6 us that you looked at some statistics.

7 MR. TABER:

8 A. I did, I gathered--actually I do this on a

9 regular basis, some people might think it's

10 kind of bizarre that I do this, but I

11 regularly watch a number of the alerts there,

12 therefore helicopter crashes and ditchings and

13 I wanted to look at specifically the offshore

14 ditching statistics for the last ten years to

15 try and see if there was any trends that were

16 going on, and at this point I really haven't

17 been able to analyse in a lot of detail those

18 numbers. But what I thought was important to

19 do as opposed to just stick a list of all of

20 the information like I have in the report, I

21 thought it was important just to identify

22 where those numbers come from.

23 ROIL, Q.C.:

24 Q. Okay, now these are offshore helicopters that

25 are ditching all over the world or just -

Page 160

1 MR. TABER:

2 A. All over the world.

3 ROIL, Q.C.:

4 Q. All over the world, okay. And have you broken

5 down the ditching in terms of hard ditching,

6 gentle, lying down, crashing, that sort of

7 thing?

8 MR. TABER:

9 A. Haven't got to that stage yet.

10 ROIL, Q.C.:

11 Q. Okay.

12 MR. TABER:

13 A. That will come in a little while and we'll

14 also be looking at position of aircraft, time

15 of day, type of equipment and maybe training

16 that they have as well, so that's later

17 statistics that I will be working on. This is

18 the -

19 ROIL, Q.C.:

20 Q. This is the statistics you will work on

21 following your appearing here, it has nothing

22 to do with what you're going to do today.

23 MR. TABER:

24 A. Following, that's right, yes, absolutely.

25 ROIL, Q.C.:

1 Q. So you just have here about raw data.
 2 MR. TABER:
 3 A. That's right. So the blue bars we can see are
 4 the total number of personnel that were on
 5 board those events and then the red bars are
 6 indicating the fatalities that occurred in
 7 those events. So we're looking at 60 events
 8 that occurred over the ten years for the
 9 offshore oil and gas and we know that there's
 10 roughly 900,000 flights there transporting
 11 personnel offshore on an annual basis, so 60,
 12 if we look at the numbers there, not
 13 necessarily a lot, but it's maybe a little bit
 14 more than what people would have expected
 15 ditchings seems like a lot in ten years.
 16 ROIL, Q.C.:
 17 Q. Yes, but that's in the context of 900, 000
 18 flights.
 19 MR. TABER:
 20 A. Right, so we're really not looking at a huge
 21 anomaly from any of the other years previous
 22 and I've looked at the way up to 2005 and in
 23 that analysis that I had done previously with
 24 a colleague from Dalhousie, so we're not
 25 really seeing a huge difference that's

1 ROIL, Q.C.:
 2 Q. So 85 percent of humans should survive the
 3 impact if there were no other considerations?
 4 MR. TABER:
 5 A. Should, should, okay. So when I'm identifying
 6 those different number of years that are below
 7 50 percent or above 50 percent, I just wanted
 8 to show that those numbers for below 50
 9 percent actually represent a survival rate of
 10 just over 32 percent. Okay, so those four
 11 years that are there. The six years in which
 12 we had greater than 50 percent, we can see
 13 that the survival rate for that is around 64
 14 percent, just slightly over that, which leads
 15 me to the 48 percent overall survival rate.
 16 ROIL, Q.C.:
 17 Q. So the overall survivability rate is less than
 18 30 percent?
 19 MR. TABER:
 20 A. Right, and if we take into consideration the
 21 fact that I haven't looked at whether this was
 22 a crash that might not be considered
 23 survivable, verses a ditching which could
 24 possibly be survivable, then those numbers
 25 might change.

1 happening here, but what I thought I'd also do
 2 is in the report I indicated that there was an
 3 overall survival rate of 48 percent, so I
 4 thought it was important to break that down a
 5 little bit and just identify the years in
 6 which less than 50 percent survival rate
 7 occurred and then more than 50 percent
 8 survival rate. And this is based on an
 9 understanding that Shanahan and colleagues
 10 have done for the US Military as well as some
 11 of the FAA reports to look at what is
 12 considered survival. And if we look purely at
 13 the human factors as far as capabilities of
 14 humans within an impact situation, he suggests
 15 that about 85 percent of all crashes, whether
 16 they're fixed wing or rotary wings to a
 17 helicopter, that 85 percent of those crashes
 18 is within human tolerances, that doesn't take
 19 into account the environment in which they're
 20 in, so it might be toxic environment, there
 21 might be fire, there might be a number of
 22 other things that are going on, but just if we
 23 look at human tolerances within those crashes,
 24 about 85 percent is what we would expect to
 25 see.

1 ROIL, Q.C.:
 2 Q. Yes.
 3 MR. TABER:
 4 A. I just wanted to give a general scope of how
 5 many events have actually occurred over that
 6 ten year period.
 7 ROIL, Q.C.:
 8 Q. Okay, good, thank you.
 9 MR. TABER:
 10 A. So that leads us to something that's not
 11 necessarily identified directly in the report,
 12 but I think that is implied as we go through
 13 and I think that this is what I would like,
 14 throughout the rest of the report, is that we
 15 consider the fact that there are influences
 16 that are associated with different aspects of
 17 the overall survival. So training in
 18 particular is, we know that it has influences
 19 based on research that's been done in the past
 20 for the US Military and we can see that there
 21 is a significant difference between trained
 22 verses untrained individuals and we see that
 23 those numbers for the trained individuals--and
 24 this is military, this is the US Military keep
 25 in mind, that those numbers actually get much

Page 165

1 closer to that 85 percent survival rate that
 2 Shanahan would suggest is what we should
 3 expect to see. The untrained individuals, and
 4 again, these are military personnel, so these
 5 would be people that might be VIPs or
 6 technicians that might not have that type of
 7 training, it's now required both in the
 8 Canadian Military and the US Military that if
 9 they're going to fly over water, they have to
 10 have at least a basic understanding of what
 11 they're supposed to be doing, so they'll take
 12 a training course now. So this research was
 13 done in early to mid '90s and we just recently
 14 published, myself--pardon me, Chris Brooks and
 15 an individual from Transport Canada and one
 16 from Dalhousie looking at well are there a lot
 17 of reports for civilian helicopter ditchings
 18 that indicate whether or not they're trained,
 19 and in fact, we look around the world and we
 20 see that there really isn't any indication as
 21 to whether the individuals have training in
 22 underwater escape. So it's really hard to
 23 draw a conclusion based on training for that
 24 particular influence, but we know from the
 25 military there's no question training made a

Page 166

1 difference for sure. So if we look at it just
 2 in isolation, then we do see a difference. If
 3 we look at floatation, we know that Dr.
 4 Coleshaw spoke about that this morning and
 5 from the research that I have conducted with
 6 my colleagues at Dalhousie, all the 511
 7 ditchings that I looked at in one dataset
 8 really didn't show that much of a difference.
 9 We didn't see the floatation really identified
 10 a strong relationship to its overall survival
 11 rate. The problem with that is that some
 12 helicopters will float on the surface,
 13 inverted even without floatation, so it might
 14 not sink, so there is some difficulty at being
 15 able to identify whether or not it's going to
 16 be able to make that much of a difference. If
 17 it stays on the surface, even if it's
 18 inverted, we know that survival rates are much
 19 higher, but just looking at base rates of
 20 whether it's installed or not installed, we
 21 don't see those differences at this point, so
 22 it's important to keep that in mind.
 23 This next point is related to the use of
 24 emergency breathing systems and I know there
 25 was a couple of questions earlier this morning

Page 167

1 about the use of emergency breathing systems
 2 and this is the particular report that you
 3 asked me about for the standing contingency
 4 force and looking at individuals using
 5 emergency breathing systems verses not using
 6 emergency breathing systems, so we trained 12
 7 individuals inside a simulator that was mocked
 8 up exactly the same as it would be for the
 9 helicopter and said, okay, you've completed
 10 the full day of training, you're all
 11 qualified, we'll stamp the card and you go
 12 out--or pardon me, Survival Systems would
 13 stamp the card and say you're all certified,
 14 you're all good to go. But one last thing
 15 before you go, we want to ask you to go back
 16 in, all 12 of you, no air, and you can imagine
 17 that they raised a couple of eyebrows and said
 18 I don't know if I want to do that, but they
 19 did, they went in and we looked at how many
 20 people needed assistance or actually didn't
 21 egress and required the simulator to be pulled
 22 out of the water. And without the air, 52
 23 percent of them were able to make it out, out
 24 of those 12. As soon as we said go back in
 25 and use all the air, we got them to do it

Page 168

1 twice just to make sure, a hundred percent
 2 survival rate. And at that point the general
 3 or the standing contingency force was watching
 4 the training and said, there's no question
 5 left in my mind we'll use emergency breathing
 6 systems. So there is some researchers out
 7 there showing, whether it's anecdotal or
 8 imperial evidence, we are seeing that EBS does
 9 have an influence on that. And when we get to
 10 day verses night, there is no question.
 11 There's been a number of reports that have
 12 been done to look at day verses night
 13 survivability rate and we know that day is
 14 definitely a higher level and we can see that
 15 it's much closer to the 85 percent than
 16 nighttime. There's a number of factors that
 17 are related to that, it could be that the
 18 pilots don't have visual acuity related to the
 19 surface of the water, so being able to
 20 identify how far away they are and being able
 21 to identify when we need to flare the
 22 aircraft, slow things down. There's also
 23 search and rescue aspects post crash, so
 24 individuals make it to the surface, they're
 25 harder to locate just simply because of the

Page 169

1 environmental conditions. And I think it's
 2 important--I know I sort of delineated each
 3 one of these in separation, but I think it's
 4 important to sort of look at their influence,
 5 their overall influence, if we're sitting
 6 somewhere around 48 percent, we need to move
 7 that closer to the 85 percent and we know for
 8 a fact that a trained individual using EBS
 9 during the day has a higher survival rate
 10 based on all the imperial evidence than
 11 someone who is untrained, no EBS and in the
 12 nighttime ditching. So we understand that,
 13 but it's the influence or the relationship
 14 between those three key factors that makes the
 15 difference when we're trying to identify where
 16 do we make changes, how do improve the system,
 17 how do we move forward from here? So I've
 18 just identified those three key areas and I
 19 think that as we shift those closer together,
 20 we need to look at the overlap between the
 21 training and the equipment and I'll talk about
 22 this a little bit more, but in the report I
 23 mentioned specifically things like crashworthy
 24 seats and I'll talk about that in the next
 25 slide, actually, as I get there, but it's

Page 170

1 important to identify that if we think about
 2 the equipment and the environment and the
 3 influence of those key components, it might be
 4 that we stick in a new piece of equipment or
 5 we have a different type of environment or
 6 different type of training and it may not
 7 necessarily be beneficial to the overall
 8 survival rate and until we consider all of the
 9 aspects that are related to that, then it's
 10 difficult for us to be able to predict what
 11 that performance might be like in a real world
 12 situation.
 13 ROIL, Q.C.:
 14 Q. And you will bring some actual examples of
 15 that as we go through?
 16 MR. TABER:
 17 A. Absolutely, absolutely. So the first issue
 18 and if I'm going too fast, please let me know
 19 and I will slow down as we go along.
 20 ROIL, Q.C.:
 21 Q. Doing fine so far.
 22 MR. TABER:
 23 A. So I was asked to look at is there a need for
 24 additional operator requirements and one of
 25 the main factors that I thought was important

Page 171

1 was to look at the installation of a crash
 2 where the component, such as a seat, so it's
 3 already been mentioned stroking seats and the
 4 fidelity of the training environment. And if
 5 we consider a stroking seat was designed
 6 specifically to look at land-base crashes, it
 7 was designed to attenuate the G forces during
 8 an impact, so if we have a seat that will
 9 collapse under controlled conditions, so in
 10 excess of 20 Gs, the seat will collapse as
 11 much as eight inches and in a land environment
 12 when I'm breathing and I can see what's going
 13 on and I can understand what's happening
 14 around me, then it does seem very beneficial
 15 and there's been a number of reports that
 16 identify that it does save lives, there's no
 17 question. However, if we look at that
 18 environment and this is where we get into this
 19 three different components, if we look at an
 20 environment where we're upside down underwater
 21 possibly holding our breath and we've now
 22 moved possibly eight inches from our original
 23 position, does that impact my ability to
 24 perform the skillset that I was trained at
 25 that original height? Furthermore, if that

Page 172

1 seat strokes and I've moved that distance, the
 2 possibility of me moving my feet in underneath
 3 a seat, either in front of me or my own seat
 4 becomes a real issue and most of the
 5 crashworthy seats that are out there, I've
 6 only seen pilot seats that don't have it, so
 7 what I'm talking about is passenger seats, the
 8 majority of those would have a guard or a net
 9 that would be at the bottom of those seats to
 10 prevent the individuals from jamming their
 11 heels or their toes underneath the seat in
 12 front of them or their own seat. That's not
 13 to say that they couldn't push hard enough in
 14 a real situation to try and drive their feet
 15 back into that spot, so it's something to be
 16 considered, I'm not suggesting that that's an
 17 issue right now, but it's something to be
 18 considered when we're thinking about
 19 installation of a crashworthy component such
 20 as a seat.
 21 ROIL, Q.C.:
 22 Q. So you're saying that in making a change in
 23 anything you need to consider the impact that
 24 that might have on the so called holistic
 25 approach, what is it doing to the training,

Page 173

1 what is it doing to other issues, it may solve
 2 a problem, but it may create a problem.
 3 MR. TABER:
 4 A. Absolutely, absolutely, with every component
 5 that we're looking at or every training issue
 6 that we look at, that also leads to things
 7 like functional reach or strike envelope. So
 8 what we're looking at here is a picture of the
 9 forward portside--pardon me, forward portside
 10 seat in an S92, it's the only rear facing
 11 passenger seat that's in there and by CAA and
 12 FAA regulations we know that there's only a
 13 requirement for an emergency exit, one on
 14 either side of the aircraft. So this is the
 15 one on the portside of the aircraft for
 16 passengers in the back and that handle is
 17 designed to be pulled down to the lower
 18 position so you can see that down in the lower
 19 section on that image, and the individual
 20 wearing a four point harness--and we know for
 21 a fact that four point harnesses and five
 22 point harnesses based on the research, that
 23 that's much better for them during an impact
 24 because it restrains them in a position, they
 25 don't flare around too much and that's the

Page 174

1 strike envelope which I'll get to in a second.
 2 But as they reach for that, if that harness
 3 has been locked now by inertia, it's much like
 4 an inertia you have in your car and every once
 5 in awhile I'm sure that you both experience
 6 this where it will lock up and you have to
 7 wheel it all the way back in before it will
 8 release and then it will come back out. So
 9 it's the same sort of thing that we look at
 10 for an aviation environment as well, so if
 11 that's locked during impact, it's designed to
 12 do that to prevent you from flaring in that
 13 seat and what happens is your ability to now
 14 reach the emergency exit that's located next
 15 to you is limited. With a lapbelt, that
 16 limitation is removed, you can then stretch
 17 forward but during an impact, we know that
 18 it's not as safe as it is with a four point
 19 harness, so that's where I'm talking about
 20 disintegration and the strike envelop that
 21 we're looking at here to the left, the drawn
 22 image is a strike envelop and that is
 23 basically -
 24 ROIL, Q.C.:
 25 Q. And that's an expression that we have not

Page 175

1 heard before, so you might want to explain
 2 that?
 3 MR. TABER:
 4 A. Yes, a strike envelope is basically the
 5 distance that you can reach during an impact.
 6 So from wherever you're restrained, your upper
 7 limbs, torso, lower limbs, will move during
 8 the impact forces. So anything that's within
 9 that strike envelope, another person, a seat,
 10 a window, whatever it happens to be, you may
 11 possible impact that with your arm or your
 12 face or whatever happens to be moving around
 13 at that point in time. So that's the image
 14 for a strike envelope done by Shanahan and
 15 colleagues for the US Military, looking at how
 16 large of a strike envelope we actually have.
 17 If I'm just restrained at the lap, then my
 18 entire upper torso can be moved quite a
 19 distance. If we superimpose the four point
 20 harness over top of that, four or five point
 21 harness in this case, we can see that the
 22 strike envelope is greatly reduced. So if we
 23 keep them in a more confined space, there's
 24 less likely a case where they will strike
 25 another object or individual, and based on

Page 176

1 brace positions that they have, whether it's
 2 crossed arms or however they have it set up
 3 for a training environment, then that will
 4 again adjust strike envelopes.
 5 So particularly when we look at a pilot's
 6 position in a cockpit, this is extremely
 7 important when we think about how far that
 8 individual will move within that environment.
 9 So we have flight controls, one in particular
 10 right in front of our face, so we want to try
 11 to reduce the amount of movement that occurs,
 12 that flailing movement that occurs, and
 13 there's been a number of research reports for
 14 the US Military that have identified that this
 15 is a real problem if they don't have proper
 16 restraint devices that are there, and the
 17 Canadian Coast Guard has put out a couple of
 18 reports particularly looking at whether or not
 19 the pilots were wearing shoulder harnesses
 20 during their long line work offshore. So
 21 there is an understanding that the strike
 22 envelopes are reduced by the type of harnesses
 23 that we have.
 24 So I thought it was just important to
 25 identify that for the operators if we are

Page 177

1 going to make this change, if we say we think
 2 five point harness or four point harness or
 3 lapbelts are better than another style, we
 4 have to take into consideration what are we
 5 asking the individual to do in an emergency
 6 situation. When it's day to day operations
 7 and we're moving around, it's really not that
 8 much of an issue, but when we look at
 9 emergency situations, then we want to identify
 10 that.
 11 So this is still a continuation of issue
 12 one, looking at the integration of those
 13 elements, and I mentioned previously that the
 14 aircraft is only required to have one
 15 emergency exit on either side of the aircraft.
 16 That's not to say that the operators and the
 17 aviation industry hasn't identified the fact
 18 that it would be kind of nice to have exits at
 19 every single row of seats. That just makes it
 20 a lot easier for the individuals if they need
 21 to move to a different position, but if we
 22 consider the size of the individuals,
 23 particularly ones that we might have offshore
 24 in Atlantic Canada, we may find that their
 25 body size might be different than other parts

Page 178

1 of the world, and if we do identify that, then
 2 the consideration of the size of the exit is
 3 extremely important, the interior
 4 configuration.
 5 So this right upper image is of the back
 6 seat on a Super Puma and that window measures
 7 21 by 12 inches. So it's slightly larger than
 8 a legal size sheet of paper, and we think
 9 about some of the offshore workforce that
 10 might be requested to use that exit in an
 11 emergency situation, and the indication of
 12 size of individuals related to the exit - and
 13 I know it's not considered an emergency exit,
 14 but if I'm sitting next to it in an emergency,
 15 it automatically becomes an emergency exit for
 16 me. So falling under the same criteria, it's
 17 not necessarily what we see in the regulation.
 18 In some cases it might, but in this particular
 19 case it doesn't. So on a Super Puma it's
 20 important to look at that. The lower right
 21 hand corner of the interior configuration is
 22 the starboard seat on the forward auxiliary
 23 fuel cell for offshore operations, and the
 24 individual that's sitting in that seat cannot
 25 use the right hand side or starboard side

Page 179

1 window because it's blocked by the auxiliary
 2 fuel cell hoses, so venting hoses. So they
 3 are then required to egress across the cabin.
 4 So they need to make their way from their
 5 position to reach over to that exit. They
 6 can't reach while they're wearing four point
 7 harness, so they would be required to
 8 disconnect the harness before they make their
 9 way to emergency exit, and we've identified
 10 already talking with Dr. Coleshaw that
 11 buoyancy becomes a bit of an issue when we're
 12 dealing with that, and depending on the
 13 position of the aircraft on the surface of the
 14 water, if it's partially inverted or fully
 15 inverted, then it becomes a bit of an issue of
 16 location, where the emergency exits might be
 17 located - pardon me, the exit might be
 18 located.
 19 The lower left position, or image, pardon
 20 me, is a S-92 with the auxiliary fuel cell in
 21 the outboard position to a seat, and just
 22 identifying the fact that if that seat, that
 23 particular seat, drops eight inches and the
 24 individual is just about at their limit of
 25 their functional reach right now, so if we

Page 180

1 drop that seat eight inches, the ability for
 2 them to reach over top of that now to locate
 3 that exit becomes an issue. Not to say that
 4 it couldn't be done, and not to say that it
 5 couldn't be ameliorated with training, but I'm
 6 just saying that it's something that needs to
 7 be kept in mind when we're thinking about
 8 these interior configurations. If I move a
 9 seat six inches because of operational
 10 requirements, I put in auxiliary fuel cell or
 11 take equipment out to the offshore, whatever
 12 it happens to be, I need to be very sure that
 13 that six inch move isn't going to affect the
 14 capability of the individual to egress under
 15 those conditions, under those emergency
 16 conditions.
 17 ROIL, Q.C.:
 18 Q. And that study of the interaction between
 19 human and machinery, is that a scientific
 20 discipline?
 21 MR. TABER:
 22 A. Absolutely, and that's my next point. Human
 23 systems integration is we've moved a little
 24 bit away from looking at pure human factors
 25 and looking more at the integration of the

Page 181

1 individual, the environment in which that
 2 takes place, and whether that happens to be
 3 the physical environment that we're in or the
 4 organizational environment, so there's been a
 5 bit of discussion about safety climate, safety
 6 culture, so we consider those aspects as well
 7 within environment, and technology or
 8 equipment and how we integrate those
 9 particular aspects. So I think it's important
 10 - if the offshore operators are asked to do
 11 anything as far as additional requirements, I
 12 think it's important that they have some input
 13 from - it doesn't necessarily need to be a
 14 human systems integration expert, but I think
 15 somebody who is well versed in the training
 16 aspect of underwater escape, how that would
 17 impact the performance if we move the
 18 configuration around, if we implement a new
 19 suit or a new piece of equipment that's
 20 attached to that suit, and then the
 21 consideration related to how many people are
 22 inside that aircraft.
 23 A really good example of that is an S-76
 24 helicopter, so a Sikorsky S-76. If we think
 25 about the configuration for that, we have four

Page 182

1 people sitting on a bench style seat at the
 2 very back of the aircraft who would be
 3 required to egress over top of a seat in front
 4 of them and out through an exit. So if we
 5 don't take into consideration those
 6 requirements, then it's hard to develop a
 7 standard for what we need to train those
 8 individuals to, so I think it's important that
 9 the consideration is taken into fact that
 10 we've got some integration that's going on
 11 here and we need to be aware of it. I don't
 12 know if there's any further questions about
 13 that.
 14 ROIL, Q.C.:
 15 Q. No, I think that's fine. I understand you. I
 16 hope that others in the room do. We'll find
 17 out.
 18 MR. TABER:
 19 A. Okay. So that leads us to Issue 2. I was
 20 asked to look at the helicopter underwater
 21 escape training standard, so HUET standards
 22 internationally, I think, as well here in
 23 Canada, and what it is, I posed three
 24 fundamental questions that I think need to be
 25 addressed as we go forward, is how much

Page 183

1 practice is needed to prepare an individual
 2 for a real world training, and I'll touch on
 3 these as we go along, but these are just the
 4 questions being posed.
 5 ROIL, Q.C.:
 6 Q. I think you misspoke. You said for real world
 7 training.
 8 MR. TABER:
 9 A. I'm sorry, for real world ditching.
 10 ROIL, Q.C.:
 11 Q. Right.
 12 MR. TABER:
 13 A. And the second question was how often, so
 14 recurrence levels, and we've already discussed
 15 that a little bit this morning, so how often
 16 does individuals need to refresh their HUET
 17 skillset, and the last one is what level of
 18 training fidelity is needed to ensure transfer
 19 of tasks to a real world situation.
 20 ROIL, Q.C.:
 21 Q. So these are the three issues that are subsets
 22 of this question for you?
 23 MR. TABER:
 24 A. Yes, I think that it was important for me to -
 25 this is how I would think about training

Page 184

1 standards, and we know fundamentally we look
 2 at performance levels when we're considering
 3 training, so how well would someone perform in
 4 a real world situation versus training because
 5 there is an argument that we could train
 6 somebody perfectly to get out of a simulator,
 7 there's no resemblance to the actual
 8 environment, and they would do it 100 percent
 9 perfect every single time. Then we put them
 10 in a situation where we've moved the seat,
 11 we've moved the position, the windows are a
 12 different style, and now we're asking them to
 13 extrapolate that information they gained on
 14 their training to this emergency situation.
 15 We tend to revert back to the way we do things
 16 naturally in an emergency. Anything that's
 17 automatic for us, we tend to do those sorts of
 18 things in an emergency situation, and I think
 19 a really good example for everyone would be, I
 20 think you've all been in your vehicle enough
 21 times that you could close your eyes and you
 22 could identify how far away the release handle
 23 is for your car, or your radio, or your
 24 blinker, or the steering wheel, you could do
 25 that just visually and I could measure, in

Page 185

1 fact, how far you reach in a simulation versus
 2 a real situation and compare those, and those
 3 would be pretty close because you've done it
 4 so many times, it becomes automatic.
 5 Now if I place you in someone else's
 6 vehicle or a taxi, and I ask you to do that
 7 same thing, you may have opened the exit
 8 yourself, you might not have. So if it's at
 9 nighttime and the dome light doesn't come on,
 10 and we're then trying to identify where is
 11 this handle and searching for this thing,
 12 obviously upside down under water possibly
 13 holding your breath is not a situation that we
 14 necessarily want to put ourselves in. So when
 15 I'm talking about training fidelity, I'll get
 16 into that a little bit more detail and
 17 contextualize that within a real world
 18 setting, but the transfer of knowledge from
 19 one position to another is the most important
 20 aspect when we look at how good is the
 21 training, how far can we transfer this
 22 information.
 23 So the first point here was looking at
 24 representative exits, seats, and harnesses.
 25 So regulations for CAA, FAA, and Transport

Page 186

1 Canada all indicate that training should have
 2 representative exit seats and harnesses, but
 3 there is no stipulation as to what
 4 representative means. So it's open to
 5 interpretation. If we say, and earlier this
 6 morning there were questions about how close
 7 should it be, should it be the same colour,
 8 should it represent the actual window size,
 9 and I would argue that, yes, it should be the
 10 exact same size if we can accommodate that,
 11 and I understand that if we fly in parts of
 12 the world where there's 10, 15, 20 different
 13 styles of aircraft that I might be flying in a
 14 week, it becomes very difficult for us to deal
 15 with that. The Gulf of Mexico is a perfect
 16 example. We have thousands of platforms that
 17 are in operation, there's numerous different
 18 types of helicopters that fly individuals back
 19 and forth all over the place out there, and
 20 for us to train an individual to one standard,
 21 which is exactly what I'm saying, so if I
 22 train them to one particular environment,
 23 their ability to extrapolate to another
 24 environment might not be beneficial for them.
 25 So being able to do that in a training

Page 187

1 environment is somewhat difficult. We run
 2 into an issue where, well, how many times do
 3 we need them to escape under water, how many
 4 times do they need to do a mechanical window,
 5 how many times do they have to do a push out
 6 window, how many times does a window have to
 7 be 12 by 21. So it's important to look at,
 8 well, what is representativeness and how do we
 9 identify that, and right now there is no way
 10 to do that at this stage.
 11 I would argue that we get it as close as
 12 we possibly can, and when I say that, I mean
 13 if it's a push out window - okay, if it fits,
 14 as Dr. Coleshaw said, if it fits within a
 15 range of a different type of exit, then that's
 16 reasonable, but I think that it needs to be
 17 the exact same distance from that particular
 18 point in space because if it's not, and I'm
 19 expecting it to be there, and a really good
 20 anecdotal evidence of that is the last Sea
 21 King ditching - they've had a number of them
 22 in the past, but in Denmark in 2005 a number
 23 of my colleagues were involved in a ditching,
 24 and the two pilots had quite a bit of
 25 difficulty locating their emergency exit.

Page 188

1 These pilots are in this aircraft all the
 2 time, they fly every day, they know exactly
 3 where that emergency exit handle is, but
 4 during their annual - actually, they do semi-
 5 annual practice session in dry air conditions,
 6 and they actually - only the first pilot will
 7 open that emergency exit, the rest of them
 8 just reach for it, and the handle is actually
 9 located in a horizontal position and they move
 10 it to a vertical position. So all the pilots
 11 subsequent to the first one actually just
 12 touch the handle and they egress out the open
 13 window, so they don't have to replace it every
 14 single time. Well, both pilots in that
 15 scenario reached up and grabbed what they
 16 thought was the emergency exit handle, and, in
 17 fact, it was just the window slide release to
 18 open the front portion of the window that they
 19 use to ventilate the cockpit. So they both
 20 slid the window open and one of the pilots on
 21 the starboard side believed that that exit was
 22 open, and actually tried to make his way
 23 through that and egressed with the window
 24 wrapped around his waist when he came to the
 25 surface. He actually had to force the window

Page 189

1 out of the frame and it came with him to the
 2 surface. So this was just a small little
 3 thing that they do in their semi-annual
 4 training. Just the distance between one
 5 position to another made all the difference in
 6 the world in a real world environment.
 7 So they've since gone to an annual
 8 underwater egress requirement. They used to
 9 go once every five years, and now they go to
 10 once a year for the Sea King - well, Sea King,
 11 now the new Cyclone environment. So
 12 representativeness, I think it's important to
 13 address that issue and identify where it is,
 14 and to do that we need to sort of think about,
 15 well, where do we put the emphasis. Do we put
 16 the emphasis on declarative knowledge, can you
 17 tell me how to egress, and I think those
 18 pilots would have been able to tell you 100
 19 percent what they needed to do, they'd say I
 20 can do this, what skills to perform and when
 21 to do those, I can tell you word for word
 22 every single things that's there, but there's
 23 a difference between declarative knowledge and
 24 procedural knowledge. When we think about
 25 procedural knowledge, it's how to actually

Page 190

1 perform that skill. If I asked you how to
 2 open a car door, you would tell me, well, I'd
 3 just locate the handle, pull on it, open the
 4 door, and get out, but your ability to do that
 5 depending on the environment you're in is
 6 dependent on what type of training you've had
 7 and how much experience you've had. The more
 8 times you practice it, the more automatic it
 9 becomes, the better chance we have of doing
 10 that. So if we place the emphasis on
 11 declarative knowledge, representative exits,
 12 seatbelts, and seats, isn't necessarily as
 13 important as it is if we put the emphasis on
 14 procedural knowledge, and that was the point I
 15 was trying to make in the report.
 16 So that leads us to the fidelity of the
 17 training environment, and while this is
 18 building, this next slide, I think there's
 19 been some questions raised about, well, how
 20 much fidelity is really required and how safe
 21 can we make the environment for the
 22 individuals.
 23 ROIL, Q.C.:
 24 Q. How safe in training?
 25 MR. TABER:

Page 191

1 A. Yes, how safe in training because there is
 2 clearly a difference between safety in a real
 3 world situation and safety in training.
 4 What's reasonably practical, what can we do to
 5 train someone to the point that we think that
 6 they - we predict that they would be able to
 7 do their training - pardon me, do their
 8 skillset in a real world setting. So
 9 depending on the type of aircraft that we fly
 10 in, some of them have low back seats, some of
 11 them have lapbelts only - the S-76 is a
 12 perfect example of an aircraft that's like
 13 that. So that level of fidelity is perfectly
 14 fine for that. If we look at different types
 15 of aircraft, say, the S-92, we can see in some
 16 of these images that the seat position, and
 17 it's difficult to see in the upper right hand
 18 corner, but that's the interior of the S-92,
 19 and the one just left of that is the interior
 20 of a simulated environment for underwater
 21 escape. We can see just to the left of that
 22 moving across the top, we can see that there
 23 are stroking style seats that are at their
 24 lowest position there. So there was some
 25 question as to whether or not that could be

Page 192

1 done in training, could we have individuals at
 2 a full height, and then could we also have
 3 them at a lower position. In fact, the
 4 engineering is out there and those do exist,
 5 that capability of fidelity is at a level
 6 where we can see those.
 7 We can see on the far left side there's a
 8 cockpit simulation that's there with full
 9 flight controls, instrumental panel, there's
 10 even to the point where we can see throttle
 11 controls above their head for the S-92 in some
 12 of the different - pardon me, the Cormorant,
 13 so different types of aircraft. If we're just
 14 moving around that circle counterclockwise, we
 15 can see the interior of a Super Puma, and
 16 that's the cargo door exit.
 17 ROIL, Q.C.:
 18 Q. Which one are you at now? I've lost which one
 19 we're at.
 20 MR. TABER:
 21 A. I don't know if you can see my arrow when I
 22 move it around on the screen.
 23 ROIL, Q.C.:
 24 Q. Okay, yes, you take our arrow to it.
 25 MR. TABER:

Page 193

1 A. Okay, so this image right here.
 2 ROIL, Q.C.:
 3 Q. Yes.
 4 MR. TABER:
 5 A. This is the interior of a cargo door exit for
 6 a Super Puma. So unless we take into
 7 consideration the fact that that window is
 8 actually recessed in or around where the cargo
 9 door slides back, if we don't think about that
 10 in a training environment, then we run into
 11 the issue that we actually can't reach that
 12 exit in the same manner that we thought we
 13 could, we can't generate enough force across
 14 the front of our body, we can't reach it with
 15 your elbow, and it's recessed far enough back
 16 that we can't push it with our hands. So we
 17 need to think about the functional task
 18 analysis and this is really the - the area of
 19 my expertise is to look at, well, what can we
 20 do to mitigate and deal with that type of
 21 risk. We can see that if the individuals
 22 utilize the handle that's already in place for
 23 a reference point before they disconnect the
 24 harness, they can then generate enough force
 25 to be able to open that exit, and it is

Page 194

1 possible to simulate that in an environment
 2 for underwater escape.
 3 We can see the next two exits - or the
 4 next two pictures are also from the Super Puma
 5 cargo door exit. If we move further to the
 6 right which I've identified, here is high back
 7 seats with four point harnesses, and then we
 8 look at a stroking style seat for the cockpit
 9 as well. The reason I brought that up is I
 10 just wanted to identify that there is the
 11 capability to do that and it's been done in
 12 training in different parts of the world, as
 13 well as here in Canada, and we can keep the
 14 level of safety at the point where it's
 15 reasonably practicable. We can do that.
 16 Now as far as the anxiety level goes,
 17 that's not necessarily to say that if I'm
 18 going to tell you you're now going to be in a
 19 realistic environment and we're going to put
 20 lightning, wind, and rain, and everything else
 21 that we can throw at you, that we need to get
 22 to that level of simulation, but - and that
 23 it's not going to affect your anxiety level;
 24 I'm pretty sure that it will affect your
 25 anxiety level, but when we think about the

Page 195

1 fundamental differences between training
 2 that's done for military, say, offshore,
 3 that's a consideration that needs to be taken
 4 into our thought process and say, well, if
 5 they're going to be in the same type of
 6 environment, it's an upside down underwater
 7 environment most times, should the offshore
 8 personnel be trained to the same level as the
 9 military. I'm not suggesting today that that
 10 necessarily is the case, but I think that we
 11 should definitely look at, well, over learning
 12 a task is what the military has identified for
 13 a long period of time and said if they can do
 14 it 10, 15, 20 times without being prompted, we
 15 can be reasonably sure that they're going to
 16 be able to do that in an emergency situation.
 17 If they do it one time and it's not sort of a
 18 realistic environment, how are we able to make
 19 the prediction then that that individual is
 20 going to be able to do that in a real
 21 situation. That's the point that I'm trying
 22 to make with the fidelity.
 23 ROIL, Q.C.:
 24 Q. So the example Dr. Coleshaw gave of one is
 25 good, two is better, three is better again,

Page 196

1 you would subscribe to the same sort of
 2 principle?
 3 MR. TABER:
 4 A. Absolutely. So continuing on with Issue 2,
 5 when we look at the questions that I posed
 6 earlier, these are sort of answers, or at
 7 least the beginning of an answer to how we
 8 address those. I think the fundamental
 9 portion of this identifying what skills are
 10 actually required to egress from the existing
 11 helicopter interior configurations that are
 12 out there in operation right now. So an S-92,
 13 how far do they have to move, what sort of
 14 skillset do they require to be able to get
 15 them to a position where they'd be able to
 16 egress. For a Super Puma, I've already done
 17 research related to this, to look at what
 18 skillset is required and published papers on
 19 that, looking at, well, maybe it's not just
 20 your basic here's your brace position, this is
 21 how you open a window, undo your harness, make
 22 your way out. Maybe it's not just that.
 23 Maybe if I'm sitting in that forward seat on
 24 the starboard side on that auxiliary fuel
 25 cell, then I'm required to do a whole lot

Page 197

1 more, like locate the bottom of my seat and
 2 disconnect my harness, relocate the bottom of
 3 my seat, reach across and find the other seat,
 4 make sure there's nobody sitting there, locate
 5 the emergency exit and then make my way over
 6 there. So the difference between those two is
 7 pretty vast. So we need to at a fundamental
 8 level identify what skills are required to do
 9 that in every type of aircraft that we have
 10 out there, and there's not a lot of research
 11 that's been done to look at those particular
 12 aspects and identify what it is that we need
 13 to do.

14 We need to ensure that the representative
 15 exits are positioned in representative
 16 locations and I've already alluded to that,
 17 that I believe that they should be the exact
 18 same distance. So the distance from the floor
 19 up, from the shoulder out, and we have to
 20 consider that if we take into account 99
 21 percentile of the average population, whatever
 22 the average population happens to be depending
 23 on the part of the world that we're looking
 24 at, is that within the functional reach of
 25 that individual, and if it's not, then can we

Page 198

1 move the seats or can we modify what's being
 2 done in training as well as in the operational
 3 setting. This needs to be done for all the
 4 offshore helicopters that are being used out
 5 there right now. That should be represented
 6 within the training and the simulation.

7 I think to ensure representative seats
 8 are similar is important. High back seats,
 9 stroking seats, four point harnesses, five
 10 point harnesses, whatever happens to be in the
 11 aircraft, I think that it's important to
 12 identify that and add that into that position.
 13 I mean, if it sounds like I'm sort of going
 14 around in circles here, I am, because I think
 15 fidelity is a fundamental aspect, and identify
 16 the level of initial training proficiency
 17 that's required, so it won't degrade to the
 18 point that it becomes problematic within a
 19 recurrency training schedule.

20 There's been a number of research
 21 projects that have been done to look at, well,
 22 how do we best integrate that information at
 23 the initial onset. As Dr. Coleshaw pointed
 24 out earlier today, anxiety levels are highest
 25 when we first show up to a training

Page 199

1 environment because we don't really know what
 2 to expect, it's something that's probably
 3 quite foreign to a lot of people the first
 4 time they go in there, and in particular for
 5 non-swimmers. So how do we best get them to
 6 the point where we can say I'm reasonably
 7 certain that you'll be able to perform that
 8 skillset, and the research is suggesting that
 9 we add contextual interference and we make it
 10 hard for them. I know that sounds counter-
 11 intuitive that we say you're stressed out,
 12 you're anxious, but there's a lot of research
 13 that's now sort of leaning toward that side,
 14 that we make it hard for people to be able to
 15 perform the skillset at the beginning because
 16 then they allocate a lot of attention to it.
 17 They say I need to focus on this because if I
 18 don't focus on it, I actually can't perform
 19 that skill.

20 What that level is, I don't know. I
 21 can't tell you even based on the research that
 22 I've done exactly what that level should be at
 23 this point in time, but I think that it's
 24 important that we start to identify where we
 25 are at this stage and where we move forward in

Page 200

1 the future of testing.

2 ROIL, Q.C.:

3 Q. Okay, before you move on to the next issue,
 4 this might be a good time to deal with the
 5 small changes to the report. I wonder if I
 6 could ask the Registrar to bring up the
 7 report. She now has the amended one, and I
 8 have to provide to the parties here a copy of
 9 a one page, printed on both sides. What can
 10 you tell us about - I think we're talking
 11 about pages 28 and 29. Would you just
 12 describe to us what changes you are asking us
 13 to allow you to make to your report?

14 MR. TABER:

15 A. Okay. When I was asked to look at the
 16 training standards, I wanted to look at the
 17 training standards that were provide not only
 18 internationally, but also here in Canada, and
 19 the only two CAPP certified HUET providers
 20 were those individuals at Survival Systems
 21 Training Limited in Nova Scotia, and Marine
 22 Institute here at MUN, and look at not
 23 necessarily the overall differences per se,
 24 but just to identify that there were
 25 differences. So when I was doing that, I was

Page 201

1 trying to identify the number of rolls that
 2 were inverted, the number of rolls that were
 3 straight in, whether they jettison an exit or
 4 not, and I think I got into slightly more
 5 detail than what was required to identify what
 6 was important in that aspect, and what I
 7 thought was important to do was just sort of
 8 clean that up a little bit so that there's no
 9 question as to what is actually being done.
 10 So a step-wise process at Memorial Institute,
 11 looking at it, breaking it down building block
 12 scenario, going through step by step there
 13 versus Survival Systems Training Limited, and
 14 there wasn't really, I don't know, an
 15 intention to tally all those differences, just
 16 to identify the fact that there were
 17 differences that were there. So that was the
 18 first change within that table, so Table 3, to
 19 remove some of the ambiguity that was involved
 20 in that overlapping.
 21 ROIL, Q.C.:
 22 Q. Yes, I had tried to add up the ones on top,
 23 and the old on top to see if they would fit
 24 the bottom and it didn't, so I think what we
 25 have is here - so the numbers that are here

Page 202

1 are not changed, but simply there's less
 2 information provided?
 3 MR. TABER:
 4 A. Right.
 5 ROIL, Q.C.:
 6 Q. Okay.
 7 MR. TABER:
 8 A. And the second change was the equivalency for
 9 training from one institution to the next, and
 10 I put one inversion egress as opposed to two
 11 for Memorial Institute.
 12 ROIL, Q.C.:
 13 Q. Okay, so if you go down six lines down from
 14 the graph - sorry, the chart, it says, "Marine
 15 Institute carries out similar HUET programs
 16 and requires", it now says "two inversion
 17 egresses". Your initial draft had said one?
 18 MR. TABER:
 19 A. That's right, it said one.
 20 ROIL, Q.C.:
 21 Q. And you're satisfied that two is the correct
 22 number?
 23 MR. TABER:
 24 A. Absolutely, and what that did is that changed
 25 the - on the next page that changed from nine

Page 203

1 years to six years, the equivalency between
 2 the two.
 3 ROIL, Q.C.:
 4 Q. So an attendee would need to attend one basic
 5 and three recurrent, equivalent to - now it
 6 says six years offshore as opposed to nine?
 7 MR. TABER:
 8 A. Absolutely, and I think it's important to
 9 point out here that the intention was to
 10 consider the integration of all those aspects
 11 and any differences that might be there, do we
 12 jettison an exit underwater, do we involve
 13 inversion, how many inversions, and really
 14 there isn't a clear understanding of how that
 15 affects your performance on the other end. We
 16 know that the more you do something, the
 17 better you get at it. That's been well
 18 established throughout the literature, but
 19 it's to identify, well, how much, how many
 20 times, and how often do we actually need to do
 21 that.
 22 ROIL, Q.C.:
 23 Q. And in what sequence?
 24 MR. TABER:
 25 A. And in what sequence as well. So I thought it

Page 204

1 was important just to, in conversation with
 2 yourself, that it was important to draw
 3 attention to that as well.
 4 ROIL, Q.C.:
 5 Q. Okay, perhaps we can get then back to Issue
 6 #3, which brings you to Slide #12, I believe.
 7 Can I bring you to -
 8 MR. TABER:
 9 A. Do you want me to do that?
 10 REGISTRAR:
 11 Q. Up to you.
 12 MR. TABER:
 13 A. Okay, it's probably easier if we just close
 14 that and just move down to #12. Actually, I
 15 can type it in from here, it's okay. So this
 16 moves us to Issue #3 now, personal protective
 17 equipment and what standards are there, and I
 18 know that we talked about quite a bit of those
 19 this morning. So as I go through, I think I
 20 may refer to the suit that's displayed at the
 21 front, just to talk about certain aspects of
 22 where things are located.
 23 ROIL, Q.C.:
 24 Q. In case those in the public are not able to
 25 see it, we've invited Charlie, a rather light

Page 205

1 weighted individual, to come in with - it's in
 2 fact, an HTS-1 survival suit, which is the
 3 current suit that has been developed for the
 4 Newfoundland and Labrador offshore, and so you
 5 may refer to that. I don't know if any of the
 6 cameras will be able to scan to it, but they
 7 may be able to if you do make reference to it.
 8 So just indicate before you go that, "I am
 9 referring to the suit" and that might allow
 10 the technician the opportunity to do that
 11 scan.
 12 MR. TABER:
 13 A. Okay. So with the passenger - I've separated
 14 the two. It's been pointed out earlier this
 15 morning as well that there is this separation
 16 between passenger suits and aircrew suits, and
 17 I'll talk about my interpretation of those
 18 standards and how I think that they're
 19 incorporated into the offshore setting, and
 20 we'll start off with the passenger suits, and
 21 the HTS-1 now meets the CGSB standards to look
 22 at, and I've just really identified some of
 23 the key areas, so buoyancy, the escape
 24 buoyancy which has already been discussed at
 25 length this morning.

Page 206

1 ROIL, Q.C.:
 2 Q. Yes.
 3 MR. TABER:
 4 A. Self-righting capabilities. So if we're
 5 unconscious, is there a requirement to have
 6 the suit right us or whether it's an
 7 additional floatation device. If it's a full
 8 integrated suit, then we would expect that
 9 that would be able to right us. Thermal
 10 protection. So at a certain level - .75 Clo,
 11 pardon me, values that are there for the
 12 suits, and there is a basic standard and
 13 that's what I was asked to address, is there a
 14 standard out there and how does that sort of
 15 affect what's going on.
 16 So related to that, it was really for me,
 17 and I think that that's sort of become
 18 apparent so far, is that I always think about
 19 the integrative aspect of all these
 20 components. So if we then add a personal
 21 locator beacon, is that a requirement, and if
 22 it is, where should it be located and does it
 23 have any influence on my capability to egress
 24 from a helicopter, depending on the size, the
 25 shape, anything hanging off of it, is it going

Page 207

1 to snag on a particular component inside the
 2 helicopter. If we start adding strobe light,
 3 where should that be located, how large should
 4 it be, should it be a quick release mechanism
 5 if for some reason it does get caught up. So
 6 when I look at these systems and I look at
 7 this integrative component here, so I am now
 8 referring to the HTS-1, my first sort of
 9 thought is well, how does this suit integrate
 10 into the environment in which it's going to be
 11 required to be used.
 12 We also install a floatation device in
 13 some cases. This particular suit has an
 14 integrated life vest as opposed to previous
 15 suits. In different parts of the world, they
 16 might wear a vest that isn't integrated into
 17 that particular suit system.
 18 ROIL, Q.C.:
 19 Q. So having the floatation device integrated
 20 right from the state of manufacture is perhaps
 21 a good thing?
 22 MR. TABER:
 23 A. Absolutely.
 24 ROIL, Q.C.:
 25 Q. Okay.

Page 208

1 MR. TABER:
 2 A. Because if we add a suit that was never
 3 designed to be integrated into that system,
 4 fitting always becomes a bit of an issue. So
 5 if I'm an extra large person and I have a suit
 6 that I'm sort of stretching the limits of
 7 those straps, I could also be wearing the same
 8 size or similar size vest and have now
 9 tightened down those straps and there's a lot
 10 of extra material that might be hanging around
 11 off to the side. So how does that affect my
 12 egress, does it get caught up on anything,
 13 does it get caught up in my seatbelt, those
 14 particular aspects, and then the integration
 15 of emergency breathing systems. So if we add
 16 that in, is it a separate system or is it
 17 fully integrated into the system itself. So
 18 with the HTS-1 from Helly Hansen that I'm
 19 referring to now, it's not an integrated from
 20 the onset, although the modifications or
 21 adjustments to this do sort of try to adjust
 22 for that fact that it wasn't originally
 23 designed to do that, but a reasonable attempt
 24 at trying to make sure that we're not looking
 25 at any issues as far as integration goes.

Page 209

1 ROIL, Q.C.:

2 Q. So it's simply not bolted on to the outside -

3 MR. TABER:

4 A. And just hanging out there -

5 ROIL, Q.C.:

6 Q. It seems to be covered, and almost as if it

7 was always a part of the suit?

8 MR. TABER:

9 A. Absolutely, and I think that if we consider

10 the unit as one piece, then it's important to

11 identify if there is - in fact, within the

12 standards, is there a discussion about where

13 these things should be located, what size they

14 should be, where they're going to be placed,

15 and we only see that in European standards and

16 we don't see that in the CGSB standards right

17 now to identify an integrative component to,

18 say, EBS is important to think about when

19 we're designing or when we're implementing

20 this piece of equipment.

21 Fitting is our last point that's on here.

22 I don't want to leave that because obviously

23 there's been a number of discussions on the

24 fitting of the suit, and this suit has been

25 modified to try to mitigate some of the excess

Page 210

1 material that's located. So internal straps

2 for suspenders to try to be able to deal with

3 that. The zipper for the face shield has been

4 shortened, so the zipper is not pushed up

5 further, and I believe it's around four inches

6 that that's been reduced in distance. Looking

7 at the fit of the overall hood itself and then

8 the wrist cuffs as well, so to look at

9 different types of materials to try to get a

10 better fit when we're out there, and this will

11 lead into personal accountability, I think, a

12 little bit more as I get further on into that,

13 and that's already been discussed quite a bit

14 today about should I be responsible as an

15 offshore worker to ensure that that suit that

16 I've been given is going to fit me properly,

17 and I think that that's part of the fitting

18 that starts off at the very onset. There is

19 no standardization or, I guess, guideline at

20 this point within the Canadian Standards that

21 I know of that identify a regime that's used

22 to fit an individual, each individual to that

23 suit. So there isn't currently, as far as I'm

24 aware, a standard that's going to do that.

25 So if we take the steps to do that, it

Page 211

1 will be great to document that at this early

2 stage and say, we now custom fit every single

3 suit that's out there to the person, how do we

4 do that, and what steps do we take to ensure

5 that that's the case.

6 ROIL, Q.C.:

7 Q. You've heard in earlier evidence, and the

8 questioning from Mr. Spencer earlier today, he

9 alluded to the fact that there has been a

10 process whereby Helly Hansen has individually

11 measured every offshore worker to see what

12 suits fits him or her best.

13 MR. TABER:

14 A. Right.

15 ROIL, Q.C.:

16 Q. You're saying that's a good thing, but we

17 should capture that information?

18 MR. TABER:

19 A. Absolutely. I think at this early stage, the

20 11 or 12 different sizes that we have sort of

21 meet the anthropomorphic data that we know to

22 exist, but there's going to be some

23 differences in each one of those body shapes

24 and custom fitting those suits is something

25 that we don't really see. It's not the norm

Page 212

1 and as Dr. Coleshaw indicated this morning,

2 that's not something we would normally see.

3 So capturing that data now, it goes a long way

4 to being able to help in the future and I

5 think that's a great thing that we do at that

6 stage.

7 So if there's nothing else on the

8 passenger, I'll move to the -

9 ROIL, Q.C.:

10 Q. I'd just -- I'll go back for a moment.

11 MR. TABER:

12 A. Okay.

13 ROIL, Q.C.:

14 Q. I'll just ask for your view. I think we heard

15 this morning Mr. Earle referred to it as the

16 natural tugging that goes on between thermal

17 capacity and buoyancy. Do you -- are you

18 aware of any efforts to resolve that tugging

19 or is it a major concern from the perspective

20 of, you call it, human systems integration?

21 MR. TABER:

22 A. I think it is a major issue if we start

23 looking at the amount of buoyancy that's

24 required to be in the suit to meet the

25 standard of .75 clo. So if we install more

Page 213

1 insulation to meet that standard, then we need
 2 to identify how that's going to affect our
 3 egress capabilities and if we go to a suit
 4 that has less insulation and we require the
 5 individuals to wear their own insulation, that
 6 needs to be taken into consideration. So if
 7 we meet the .75 clo, based on the clothing
 8 that you arrive at the heliport with, then
 9 does the suit need to include that in that
 10 position. So that integration between all of
 11 that becomes important, absolutely. At any
 12 stage, we want to look at what are the
 13 requirements. Why am I wearing that suit and
 14 what skill set am I needing to perform in that
 15 environment?
 16 ROIL, Q.C.:
 17 Q. So I guess the question is am I saying to you
 18 -- are you saying to the offshore workers, if
 19 you're fitted for this suit now, should you or
 20 should you not run out and buy three sets of
 21 thermal underwear and put underneath it?
 22 MR. TABER:
 23 A. And I can get to that, the personal
 24 accountability, but I'll answer it now is I
 25 think that there should be layers of clothing

Page 214

1 next to your skin that will wick the water
 2 away from the surface of your skin, and I
 3 personally when I have flown offshore, I make
 4 sure that I wear thermal insulation next to
 5 skin. Even though I know that that suit meets
 6 a certain standard and meets certain
 7 requirements and I try to be diligent at
 8 getting the right size for myself, I still
 9 ensure that I take that personal
 10 accountability to the stage where I identify
 11 how much clothing I want to wear based on the
 12 environmental condition. So if I know it's
 13 the middle of the summer, I'll wear maybe
 14 less, one layer less, than if it's in the
 15 middle of the winter when the water
 16 temperature and air temperature might be minus
 17 45. So I'll definitely look at doing that.
 18 Now whether we require the offshore worker to
 19 go buy their own equipment or whether that
 20 becomes part of the issuing of the equipment,
 21 I'm not sure where we are with that, and you
 22 know, I can't really speak to that, but I
 23 think that it does take into consideration how
 24 accountable I actually am.
 25 And when Dr. Coleshaw was talking about

Page 215

1 when she flies, I actually take it one step
 2 further. When I sit in an aircraft, I not
 3 only look at the emergency exit and the rows
 4 of seats, I also look at the overhead bins
 5 that are ahead because I know that people are
 6 going to be in the aisles and maybe climbing
 7 over seats. So if I have to climb over
 8 somebody, I want to know how many overhead
 9 bins there are. So maybe I'm sort of being
 10 over reactive, but I think it's based on my
 11 experience and my knowledge related to crash
 12 scenarios, and we know that survival typically
 13 occurs, for fixed wing environment, for people
 14 who have climbed over seats, because we jam
 15 the aisles and people climb over seats. So
 16 anyway, that relates a little bit more to the
 17 personal accountability.
 18 So are there any other points?
 19 ROIL, Q.C.:
 20 Q. No, that's all. I think we can move on now.
 21 MR. TABER:
 22 A. Okay. So this sort of leads us into the
 23 differences for the air crew suits, and I
 24 identified in the report that there are
 25 differences as far as the type of requirements

Page 216

1 that are there, and the first one that really
 2 sort of jumped out at me was the thermal
 3 loading and the heat stress for the air crew.
 4 It relates to a term that's called greenhouse
 5 effect and basically, you can imagine the same
 6 as when you're in your car when the sun's
 7 beating through the windscreen and it becomes
 8 very warm in that environment. So as far as
 9 the difference between a passenger environment
 10 and an air crew environment, there is a
 11 difference, and as Dr. Coleshaw mentioned,
 12 those air crew individuals are wearing those
 13 suits, not only to the rig, but they'd be
 14 flying back and possibly doing another flight
 15 during the day. So they wear those suits for
 16 an entire day. So if we think about the
 17 greenhouse effect and the thermal loading
 18 that's on them, we need to consider the fact
 19 that cognitively, their ability to perform at
 20 a level that we would like them to be able to
 21 perform is a very important thing.
 22 So the thermal aspects related to an air
 23 crew suit has really driven industry based and
 24 military based applications for the type of
 25 liners that they wear, the type of suits that

Page 217

1 they wear and there was some discussion about
 2 the coloration of the suit, and there has
 3 been, in the CAA report and a number of other
 4 industry reports, looking at the colour of
 5 the suit and why a pilot wouldn't wear a
 6 bright orange suit, and as we move closer and
 7 closer or further and further into glass
 8 cockpits, so it's all instrumentation, the
 9 reflective properties of an orange suit versus
 10 a dark blue suit or a green suit, for the
 11 military, let's say, does have an impact in my
 12 performance level because being able to
 13 visually identify what's on that screen is
 14 impacted by the reflective surface of that
 15 material and that's extremely important,
 16 particularly when the sun is beating in on
 17 that material. So that's a key issue that's
 18 there and there's been a number of reports
 19 that have been done looking at cognitive
 20 performance related to thermal load and we
 21 know that once we get to a -
 22 ROIL, Q.C.:
 23 Q. I'm sorry, cognitive performance is perhaps an
 24 expression -
 25 MR. TABER:

Page 218

1 A. Oh sorry. How you process the information
 2 related to the environment that you're in. So
 3 are you able to make decisions quickly? Are
 4 you able to make those decisions in an
 5 emergency? Can you identify that there is a
 6 problem in this environment? Your vigilance,
 7 so how well do you recognize that there might
 8 be a small little flashing red light
 9 somewhere? We know that as we thermally load,
 10 as we increase your internal body core
 11 temperature, your ability to perform at an
 12 acceptable level starts to decrease. So we
 13 want to try to ensure that we're not setting
 14 up a situation where we thermally load our
 15 pilots before they go out there. So we stick
 16 them in a suit that might have the same clo
 17 value, we put them in insulated underwear, and
 18 we ask them to fly out there and perform at a
 19 level that we think is reasonable.
 20 So that's sort of driven, in the past,
 21 both military and civilian applications, of
 22 air crew suits versus passenger suits. We
 23 know that the passengers might have to perform
 24 a skill if an emergency occurs, but typically
 25 they wouldn't need to perform that. Whereas a

Page 219

1 pilot or the air crew would need to perform
 2 that skill on a regular basis, whatever --
 3 whether they're flying the aircraft or they're
 4 second pilot, the copilot, and being able to
 5 support the primary pilot, flying pilot. So
 6 that was one of the aspects.
 7 And fitting as well is the same sort of
 8 concerns and issues that we run into for
 9 passengers. It's typically a one size --
 10 probably not one size, but one particular size
 11 for a range of individuals. So we might have
 12 five or six different suit sizes for pilots
 13 that are out there, and do I think that they
 14 should be fitted for individuals? I think at
 15 an air crew level, and this becomes their
 16 daily work clothing, I think it is important.
 17 I think that fitting to the individual is an
 18 important aspect so that we don't run into a
 19 situation where we do have a larger suit than
 20 maybe what we need to have in that aspect.
 21 We know that for the military, it's --
 22 they've run through for Canadian military, in
 23 particular, and my experience has taken me
 24 through quite a bit of that training program
 25 and also the testing of those suits, and I do

Page 220

1 see that there are always issues, particularly
 2 for smaller female pilots or air crew, and
 3 when we start putting them in the smallest
 4 suit that's capable for them to wear, they
 5 realize very quickly it's just too much
 6 material. So they have those custom fitted to
 7 those individuals, but not for all of the
 8 other air crew that are out there. They
 9 custom fit neck seals and custom fit wrist
 10 seals, but as far as the overall torso size,
 11 they don't custom fit at that point. So
 12 that's just a little bit different than the
 13 passenger suits at this point.
 14 I don't believe that the air crew suits
 15 for the offshore do that. It's just a
 16 standardized suit that we purchase that's a
 17 size small, medium, large, extra large,
 18 whatever it happens to be, and then we sort of
 19 try to fit it as much as we possibly can at
 20 that point.
 21 So colour, I've already mentioned, and
 22 the last aspect that I think I'll refer to the
 23 suit as well here, so the HST1 that's
 24 displayed up here, is something called
 25 Christmas tree effect, and this has been

Page 221

1 identified by the US military over the last
 2 number of years, addressing the fact that how
 3 much equipment is too much on the outside of a
 4 suit? Do we continually add? And the
 5 Christmas tree effect or the idea of the
 6 Christmas tree effect is basically what it
 7 sounds like. We get a new ornament. It's
 8 nice and shiny and we hang it on the tree
 9 until at some point, ten years down the road,
 10 we look at our Christmas tree and go, there's
 11 just too much going on here. It's way too
 12 busy. There's far too many ornaments that are
 13 on here. So that really sort of stems from
 14 the US military and they identified in a study
 15 that when they did the testing for the ground
 16 troops or the land force element troops, some
 17 of them were carrying in excess of 150 pounds
 18 of equipment and asked to march through the
 19 desert and perform at a level that you would
 20 expect a person maybe wearing shorts and t-
 21 shirt to be able to perform at.
 22 So I think that what we need to do is
 23 when we're thinking about not only air crew
 24 suits, but also passenger suits, that we start
 25 to consider that maybe we don't want to have

Page 222

1 too much going on here. We want to try to
 2 integrate right at the very beginning how this
 3 suit looks and we don't start adding all this
 4 weight and going we've got a new EBS or we've
 5 got a new strobe or we've got a new splash
 6 hood or whatever it happens to be, and we say
 7 "oh, that'll look great. That'll fit into the
 8 standard" and because the standard doesn't get
 9 into that too much detail, then it's difficult
 10 for us to identify whether or not it should be
 11 in place and it's really the testing that
 12 occurs, not only within just the performance
 13 standards for wave action, but I think in the
 14 actual environment where they'll be used, so
 15 underwater escape and in a dry environment.
 16 I've done testing in the past where we do
 17 dry snag hazard testing and just to identify
 18 that, that would be anything on the suit that
 19 would get caught up on the equipment that's
 20 installed in the aircraft. So the edge of a
 21 window or handle for a window, possibly the
 22 harness that's there. And if we do dry snag
 23 testing, we don't always see the same issues
 24 we see when we do the underwater escape
 25 because of floatation, and it's important to

Page 223

1 consider that. When we're looking at the
 2 application for that suit, we know that it's -
 3 - if it's going to be used, it's possibly
 4 going to be used in an upside down underwater
 5 environment where they might have to open an
 6 emergency exit, undo a harness and make their
 7 way out. So it's important to take all those
 8 components and say "what is it going to do in
 9 a real situation?" Not just test one suit,
 10 but test every size of suit and so we look at
 11 exactly what's going to happen there.
 12 ROIL, Q.C.:
 13 Q. So I take it then there are considerations
 14 that are common to the passenger and the air
 15 crew, but there are also considerations that
 16 are different and so you would not expect to
 17 see the same suit worn by the air crew as you
 18 would expect to see worn by the passenger?
 19 MR. TABER:
 20 A. Absolutely not. I think a really easy way to
 21 look at that, for this particular suit itself,
 22 is the boots, the insulated properties of the
 23 boots and the sole on those. I wouldn't
 24 expect a pilot to be able to control the
 25 rudder pedals in an aircraft with those types

Page 224

1 of boots, but that's fine for the application
 2 that we look at for a passenger who wouldn't
 3 be performing that skill set. If we look at a
 4 pilot, different skill set, so different
 5 standards that are there.
 6 ROIL, Q.C.:
 7 Q. I think Dr. Coleshaw and counsel for the
 8 pilots got engaged in a discussion about
 9 whether there's a standard for pilots. Do you
 10 have anything you can add to that discussion
 11 about whether for air crew there is currently
 12 a standard?
 13 MR. TABER:
 14 A. Well, aside from -
 15 ROIL, Q.C.:
 16 Q. As in the CGSB standard, a standard in Canada.
 17 MR. TABER:
 18 A. I don't believe there is. I don't believe
 19 that there's one right now, other than the
 20 ones that have been identified for the
 21 European Union. I don't think that there is a
 22 particular standard at this point. It's been
 23 more industry base driven and individuals that
 24 come from a military background who wore a
 25 thermally protective suit while they were

Page 225

1 doing their exercises there come to a civilian
 2 operation and say "I think we need to have a
 3 suit" and there has been some reports for the
 4 US military identifying that when we think
 5 about thermal loading, the commanding officer
 6 of a unit will say this is what the limits
 7 are. We know a combination of air temperature
 8 and water temperature. If it is below 30
 9 degrees, then we need to wear an immersion
 10 suit. If it's in excess of that, then
 11 possibly we don't, but we still have to take
 12 into consideration if the air temperature is
 13 30 degrees and the water temperature is minus
 14 one or plus two. If I'm going to find myself
 15 in that situation, yeah, it's hot, it's
 16 absolutely hot, and we do have to be concerned
 17 about the amount of cognitive processing or
 18 the thought process that goes on, but they'd
 19 be limited possibly to the operational
 20 requirements if they do. So we'd say instead
 21 of being able to fly four hours normally, you
 22 only can fly two hours before you get a chance
 23 to cool down, take the suit off, rehydrate,
 24 get something to eat, take a break and then we
 25 get you to fly again.

Page 226

1 So when I flew with the military in the -
 2 - off the back of ships, that was often the
 3 case. If we were flying in the Gulf of Mexico
 4 or somewhere warm that the pilots would be
 5 limited to the amount of time that they could
 6 spend in the aircraft, controlling that
 7 aircraft, and sometimes they'd fly with a
 8 third pilot, so they'd switch out the pilots
 9 so that they would be able to do full
 10 operations.
 11 ROIL, Q.C.:
 12 Q. Okay. I think we are now ready to move to
 13 issue number four.
 14 MR. TABER:
 15 A. Okay. So this is the collaborative process of
 16 the collaboration of helicopter safety
 17 initiatives.
 18 ROIL, Q.C.:
 19 Q. Yes.
 20 MR. TABER:
 21 A. And looking at operators, helicopter operators
 22 as well, the offshore and passengers and the
 23 collaboration between those individuals as far
 24 as how much dialogue goes on and is there a
 25 capability for us to voice an opinion. So the

Page 227

1 first point there is Cougar and Canadian are
 2 required by Transport Canada to have a safety
 3 management system in place in which there is
 4 some sort of process where if an individual
 5 identifies an issue, they're able to bring
 6 that forward and it's dealt with in a manner
 7 where there's some transparency that occurs so
 8 they can identify whether steps are being
 9 taken to ameliorate that risk and I think that
 10 right now, both Canadian and Cougar have
 11 probably the highest standards that we can see
 12 for an SMS system. I don't see any other
 13 systems really that are out there right now or
 14 templates that are out there that are much
 15 better than what they have at this current
 16 stage.
 17 ROIL, Q.C.:
 18 Q. CHC doesn't fly in Newfoundland. They fly in
 19 Nova Scotia.
 20 MR. TABER:
 21 A. Right, absolutely, but I'm just -
 22 ROIL, Q.C.:
 23 Q. Clarity for the people who are listening who
 24 are wondering why are we taking about CHC.
 25 MR. TABER:

Page 228

1 A. Pardon me, yes, absolutely. So they're at a
 2 level right now where they need to be by
 3 regulation, but I think that they're even
 4 above that a little bit. So I don't see a
 5 major issue there, other than possibly a
 6 little bit more dialogue that could occur, and
 7 I'll talk about that a little bit as we go
 8 along, but I think that they're really at the
 9 standard that they need to be at this point in
 10 time, and these safety management systems
 11 really stem from work that was done for NASA
 12 in the late 80s, early 90s, looking at the
 13 aviation community, saying well, we have to
 14 reduce the accident rate, and how do we do
 15 that?
 16 They identified that if pilots have an
 17 anonymous process where they can identify near
 18 misses and problems that they run into, they
 19 had a mechanism by which they could say "look,
 20 I just about did this" and there was no
 21 repercussions that would come from that
 22 anonymous process, and so other pilots would
 23 come and say "well, yeah, I've had that same
 24 issue." So then human factor specialists
 25 started to look at "well, why is it that all

Page 229

1 these pilots are having the same issue with
 2 this particular system?" And started to say
 3 "well, we need to change the system." It's
 4 not necessarily the pilots, it's the system
 5 itself that needs to be adjusted and it could
 6 be something as simple as the landing gear
 7 handle. Do we change that to actually
 8 represent for them a tactile wheel? So
 9 actually when they originally decided to
 10 change the way they had landing gear, because
 11 they had aircraft that were landing with
 12 landing gear still up -- so they said well,
 13 they pulled a different handle. So the flap
 14 handle and their landing gear handle were in
 15 the same position and they felt exactly the
 16 same, so they said it's as simple as just
 17 putting a little wheel on top of it. Oh,
 18 okay. So then that sort of moved its way
 19 through and now we're at a safety management
 20 system that's required by all aviation
 21 operators that carry personnel or passengers.
 22 So I just wanted to mention that as we're
 23 going through.
 24 The reporting process, I think again,
 25 like I said, it's very high standard right

Page 230

1 now. I think additional transparency might be
 2 good to be able to identify it. Perhaps it
 3 might be that there is a board, a safety
 4 initiative board that's at the heliport that
 5 says "these are the reports that have come in
 6 in the last 60 days, and from these 60 days,
 7 these are the reports that we're addressing
 8 right now. This is where we are, and this is
 9 where we project the next stage to be." So I
 10 couldn't find any of that that's on their
 11 websites to look at the safety management
 12 system, and I think maybe that's a step that
 13 could be taken forward as far as the reporting
 14 procedures that are there. How we do that,
 15 I'm not necessarily sure exactly where we go
 16 from there, but I think that maybe that's a
 17 possible approach.
 18 Safety climate, and I think I'm going to
 19 bring up the next point here as well, the
 20 safety culture, and I believe that there's
 21 been some reports that have been addressed on
 22 that and some presentations as well. So I
 23 don't think I'm going to spend too much time
 24 on that, but just to say that I think within
 25 the offshore, the safety culture drives the

Page 231

1 safety climate and if the organizational
 2 commitment to safety is very high and we say
 3 we value your opinion, and we can see that in
 4 the Gulf of Mexico, this has become a major
 5 issue for an offshore oil operator, based on
 6 the current situation, that safety culture may
 7 not necessarily have been at the stage where
 8 the safety climate could be such that people
 9 felt it was okay to say we can voice our
 10 opinions. And unfortunately, research has
 11 shown that safety climate is fairly short
 12 lived.
 13 Post event, people will voice all their
 14 opinions and all their concerns and say "well,
 15 we knew there was a problem. We knew that was
 16 an issue. We knew" -- but they hadn't really
 17 sort of voiced that officially. They might
 18 have talked to one another and said "I don't
 19 really like the way this is set up" but it's
 20 very short lived. Within 6 to 12 months post
 21 event, unless this is brought to the forefront
 22 all the time, then people tend to forget,
 23 because we tend to try to -- humans try to
 24 accommodate systems into our everyday life and
 25 if we don't have to allocate a lot of

Page 232

1 attention to it, then we don't bother, because
 2 we try to find the easiest way to deal with
 3 our day-to-day lives. We're quite busy so if
 4 it's not apparent to me all the time, then I
 5 don't really spend a lot of time thinking
 6 about it.
 7 So I think in the offshore in
 8 Newfoundland, I think that the safety culture
 9 is quite good, as far as the organizational
 10 commitment to safety. I don't think that I
 11 could find anything really that was out there
 12 that suggested otherwise. I know I heard
 13 anecdotally a couple of times that there might
 14 have been issues as far as aircraft
 15 configurations, but as far as someone voicing
 16 their opinions, I don't really know at what
 17 stage they do that and I don't think I can
 18 speak to that at this point.
 19 So that sort of leads us to certification
 20 versus competency and there's been a bit of
 21 discussion about that as well. Identifying
 22 the standards for safety initiative. If we
 23 say that you're certified to do a particular
 24 task or the aircraft configuration is
 25 certified to do a certain task, does that

Page 233

1 necessarily mean that it can perform that? Is
 2 it to the standard that is open to
 3 interpretation and we say representative exits
 4 or representative seats? So this sort of
 5 leads back to this understanding of the
 6 implementation of those safety initiatives,
 7 and I think it's important for us to identify
 8 that certification level doesn't necessarily
 9 mean that it will perform at that level, and
 10 sometimes -- and I use the term loosely, but
 11 the lowest common denominator, if we say that
 12 we have to accommodate all of the aspects that
 13 are there and we don't necessarily understand
 14 all those aspects, it's much easier for us to
 15 say generic standards. This is what we think
 16 you generally should do. So I think that what
 17 we need to do is identify what is actually
 18 required and how we deal with that. So that
 19 might be part of the dialogue that occurs in
 20 the future, as far as the safety initiatives
 21 go.
 22 So we continue on with issue number four
 23 and I notice this aspect is sort of throughout
 24 the entire report is that we need to think
 25 about -- and there's been a number of reports

Page 234

1 that have been done in the past, both academic
 2 and industry based -- that we have to think of
 3 safety as an emergent property. So if we look
 4 at an organization that has really good safety
 5 culture, then safety becomes just part of
 6 that. We sort of think that if the upper
 7 management and operators say that safety is
 8 the number one factor that we need to address,
 9 no matter what, then -- and we prove that
 10 through our actions, that the workforce will
 11 instill that in their day-to-day operations
 12 and there's a number of cases within industry
 13 where we see this happen and organizations
 14 that say safety is important to us, and we're
 15 going to prove it by doing X, Y or Z, then the
 16 employees tend to follow along and say it is
 17 important. So I can bring up the point and
 18 say "hey, listen, I don't think that's safe."
 19 So we just have to think about it as an
 20 emergent property and it stems really from the
 21 top down process.
 22 I'd already mentioned the client operator
 23 communication, more open dialogue possibly.
 24 If I sit in the helicopter and I identify that
 25 there is an issue with where the seat is

Page 235

1 placed or maybe something's been moved, maybe
 2 equipment's in a particular position, I think
 3 it's important that I should be able to say to
 4 the pilot or copilot, "listen, I don't feel
 5 that this is reasonable for me if there is a
 6 safety concern" or as far as an emergency
 7 situation. I think that it should be that
 8 there should be quite a bit of open
 9 communication and I know that when I flew, I
 10 never felt like I couldn't talk to the pilots.
 11 I always felt that there was the capability
 12 for me to be able to go up and say, hey,
 13 listen, I think that this person maybe should
 14 be moved. This extra large person sitting
 15 next to this extra small window maybe
 16 shouldn't be sitting there and I'll take that
 17 seat because I know I can fit through it. So
 18 I never felt that there was any resistance to
 19 that whatsoever and I think that that's
 20 important and I think that we need to continue
 21 that.
 22 Proactive versus reactive approach to
 23 safety is important and I'll talk about that
 24 in the next slide when we get to it, but being
 25 reactive to a situation is fairly easy.

Page 236

1 Something happens, we say, oh, we need to deal
 2 with this issue. As opposed to saying, well,
 3 can we identify problems before they occur?
 4 And this is sort of a bit of an art for risk
 5 identification is being able to say, well, if
 6 I stick a piece of equipment on a suit in a
 7 particular spot, is it then going to become a
 8 problem? And I think that we were -- in our
 9 discussions before, we were talking a little
 10 bit about identifying whether or not a volcano
 11 is going to erupt somewhere in the world and
 12 it's going to effect what's happening for our
 13 flight operations. That's sort of a little
 14 bit beyond being proactive because I think
 15 it's sort of gets beyond what anybody would
 16 ever imagine, but I think it's important that
 17 we take the time to say, well, are there any
 18 issues that are currently out there, and I can
 19 identify a few, if we need to, that need to be
 20 addressed before anything ever occurs. And if
 21 we do that ahead of time, then possibly that's
 22 going to help, that's going to benefit later
 23 on, and all too often, we wait until after
 24 something's happened and say, well, you know,
 25 maybe we should have changed those operations

Page 237

1 beforehand. So I think that it's important
 2 just to have that proactive approach.
 3 So this -- actually, this drives us right
 4 into personal accountability. I'm wondering
 5 if I'm mixing up my slides a little bit, but
 6 I'll continue on and we'll go from there. Are
 7 there any questions before I get to issue
 8 five?
 9 ROIL, Q.C.:
 10 Q. No, keep on going.
 11 MR. TABER:
 12 A. Okay. So okay, I am here. I thought maybe I
 13 missed a slide here. I know this is a bizarre
 14 image and it looks sort of like a -
 15 ROIL, Q.C.:
 16 Q. We had that conversation.
 17 MR. TABER:
 18 A. Yes.
 19 ROIL, Q.C.:
 20 Q. Yeah.
 21 MR. TABER:
 22 A. This is work done by Kim Vincente out of
 23 University of Toronto and he sort of looked at
 24 the invisible boundaries of safety and he took
 25 work done by Rasmussen in the early 80s, late

Page 238

1 90s and said what we need to be able to do is
 2 consider the boundaries that are set by safe
 3 work operations, and I'll bring up my own
 4 interpretation of this here in a second, to be
 5 able to identify that. But that there's this
 6 pole between economic requirements,
 7 operational requirements and then my own
 8 personal understanding of what's going on, and
 9 if I feel some obligation to perform at a
 10 certain level, if it's within a certain safety
 11 culture where my boss says "you finish that
 12 job right now. I don't care what it takes" it
 13 depends on how I interpret that, depending on
 14 my experience in that environment. If I know
 15 that whatever it takes means still within a
 16 safe work boundaries, then that's the
 17 environment that I'm going to work in.
 18 But one of the things that we tend to do
 19 is if we take a system, and I'm going to use
 20 driving your car as an example. So our system
 21 and our driving on a highway is a system. We
 22 work within the safe boundaries when we first
 23 start out. We say, okay, the speed limit is
 24 100 kilometres an hour and I'm going to try to
 25 stay at 100 kilometres an hour. Then the

Page 239

1 first time you push that system beyond its
 2 safe boundary and nothing happens, so you
 3 drive at 105 or 110 kilometres an hour, you
 4 immediately move that safe work boundary to
 5 that next level. We automatically say, well,
 6 the system can tolerate a little bit of
 7 leeway. It's going to allow us to move beyond
 8 those safe work practices. And then we say,
 9 well, if I can drive at 105 or 110, I'm a
 10 little late today, can I drive at 120?
 11 Nothing happens, so we say, okay, I think the
 12 system is going to be able to tolerate 120.
 13 And then we drive at 130. For whatever
 14 reason, we drive at 130, but what we haven't
 15 taken into consideration is the fact that
 16 maybe the conditions under which we drove at
 17 120 or 110 are not the same environmental
 18 conditions they were -- or they are at this
 19 point in time when I'm driving 130. It might
 20 be raining out. There might be ice on the
 21 road. There might be snow.
 22 And we see this in research that was done
 23 for anti-lock brakes and when anti-lock brakes
 24 were first initially brought into the market,
 25 they were tested with New York City cab

Page 240

1 drivers, which seems like a reasonable place
 2 to try to test that, and they originally
 3 thought, the hypothesis was that we give them
 4 anti-lock brakes and we're going to drop the
 5 accident rate. Well, in fact what happened
 6 was the accident rate increased because they
 7 believed that the safety factor was going to
 8 accommodate their faster driving, sharper
 9 corner turning and they found that in fact
 10 that safety benefit was absorbed into the
 11 individual's understanding of what was going
 12 on and they just pushed the limit to the point
 13 where they thought, oh, it's safe enough. So
 14 their accident rate actually increased.
 15 So that's one we were thinking about and
 16 this is sort of Vincente's work and I'm just
 17 trying to make it a little bit easier to
 18 understand with my own interpretation of that
 19 system.
 20 ROIL, Q.C.:
 21 Q. I think I like your graphic better.
 22 MR. TABER:
 23 A. Doesn't necessarily look like an eyeball, but
 24 I think that that's an important consideration
 25 and Vincente uses another analogy that I think

Page 241

1 is really good, is that he thinks about a
 2 campfire, and I think most of us have sort of
 3 experienced this invisible boundary around a
 4 campfire. We get a little bit too close and
 5 we recognize very quickly, "oh, it's too hot.
 6 I've started to melt my fleece jacket" or
 7 whatever it happens to be and I recognize the
 8 fact very quickly there is an invisible
 9 boundary and what's important is that we start
 10 to consider, and this is the safety management
 11 system process, is that we start to consider
 12 those invisible boundaries and we start to
 13 identify those and we say, look, 120 is not
 14 reasonable, or 130 is not reasonable because
 15 we understand what the issues are. So we look
 16 at our past issues that have been brought up
 17 and we say, it might -- you might not be able
 18 to see it, but we know that you can't work
 19 beyond this boundary, and I don't know that we
 20 know all the boundaries yet.
 21 I don't think that the research has sort
 22 of taken us to that level yet, but we
 23 certainly have identified some of the
 24 boundaries, and there's an example with the
 25 HTS1, a perfect example of recognizing a

Page 242

1 boundary as far as thermal protection goes.
 2 We need to meet .75 Clo to be able to
 3 establish a level of time that someone is
 4 going to be able to survive, given these
 5 environmental conditions. If the
 6 environmental conditions are warmer than that,
 7 it's hot and it's uncomfortable, but we know
 8 that this safety boundary is here. So the
 9 safe -- the quality management system is
 10 really designed to try to do that, try to
 11 identify what it is that we need to do to
 12 address the concerns and these invisible
 13 boundaries.
 14 So I don't know if there's any questions
 15 related to that?
 16 ROIL, Q.C.:
 17 Q. No.
 18 MR. TABER:
 19 A. No questions, okay.
 20 ROIL, Q.C.:
 21 Q. I'm fine with it, thank you. As I say, others
 22 may have questions along the way.
 23 MR. TABER:
 24 A. Okay. So when we think about the personal
 25 accountability and identifying those invisible

Page 243

1 boundaries, I think it's important that we
 2 think about what we ask the offshore personnel
 3 to do and the pre-flight preparation, I think
 4 it's important that during the training and
 5 their indoctrination into that safety culture
 6 and that safety climate, identifies these
 7 invisible boundaries for them because if I
 8 don't have any experience and I'm not really
 9 sure what the system limitations are, then I'm
 10 going to incorporate whatever I see and
 11 whatever I experience into my understanding of
 12 that environment.
 13 So if at a safety training level we say
 14 you need to wear thermal protective clothing
 15 or you need to drink water or you need to eat
 16 food to get yourself organized beforehand
 17 because this will affect your hypothermia
 18 level and your performance level, then it's
 19 easier for the individual to say, okay, well,
 20 obviously I need to do that. I need to
 21 incorporate that, and if I show up after I've
 22 been trained, I show up to the heliport and
 23 say I haven't had a lot to drink, I've had no
 24 breakfast, I've been drinking coffee all day,
 25 I stopped at Tim Hortons possibly or whatever

Page 244

1 on my way to the heliport, didn't get a lot of
 2 sleep last night, and now I'm in a suit. The
 3 first thing that may happen as soon as we get
 4 in that helicopter is we fall asleep. So it's
 5 a nice warm environment. I'm all strapped in,
 6 vibrating a little bit and I'm now at a point
 7 where I fall asleep. Now our understanding of
 8 what's going on around us while we're asleep
 9 is a little different than it is when we're
 10 awake, and we know that alertness is affected
 11 by hydration level and we know that
 12 hypothermia is affected by hydration and
 13 dietary intake.
 14 So I think it's important that we
 15 identify that at the first stages when they go
 16 through their safety training program, but
 17 it's also important that when they arrive at
 18 the heliport that this is reinforced and we
 19 say it's important for you to do this because
 20 if you don't think about those invisible
 21 safety boundaries, then there's no way for me
 22 to identify. If I show up at the heliport and
 23 I look at people who have 20, 30, 40 years --
 24 maybe not 40 years offshore experience, but
 25 maybe 20 or 30 years of offshore experience

Page 245

1 and they've arrived in the middle of the
 2 summer with a t-shirt, pair of shorts, socks
 3 in hand and flip flops on, I immediately
 4 incorporate that into my understanding of the
 5 differences between a training environment and
 6 a real world environment.
 7 ROIL, Q.C.:
 8 Q. Okay. Now this might be a good place. If we
 9 go back, this is an example in the offshore --
 10 your little emergency event thing where you
 11 get a level of comfort where you shouldn't get
 12 a level of comfort.
 13 MR. TABER:
 14 A. Absolutely, and I'm just simply trying to make
 15 the system easier for me. My understanding of
 16 it is that nobody else is wearing thermal
 17 underwear and I can guarantee you that if I'm
 18 trying to conform to the safety requirements
 19 within that safety climate and culture, the
 20 next time I show up at the heliport, I'm going
 21 to look like everybody else. I'm going to
 22 make sure that I conform to that, so that I'm
 23 not sort of singled out as being different,
 24 you know, oh, that guy's a new guy. He just
 25 took his training course. I want to integrate

Page 246

1 myself very quickly, and as humans, we like to
 2 do that. We like to fit in as much as we
 3 possibly can. So this relates to the
 4 clothing. If I arrive at the heliport and
 5 everybody is wearing thermal underwear or I'm
 6 issued thermal underwear, there's really no
 7 issue there.
 8 I mentioned in the report that the
 9 clothing next to skin is important because it
 10 creates a thermal climate or a microclimate
 11 next to my skin. If I wear cotton, and I
 12 would venture a guess to say that everybody in
 13 the room is wearing cotton next to skin, at
 14 least a certain level, cotton is very bad in a
 15 thermal environment because it doesn't wick
 16 the water away from you. It's great in a fire
 17 environment. It works very well that way.
 18 But in a thermal environment, particularly
 19 when we're trying to try to control our
 20 thermal regulation, it's not very good. So
 21 what we want to try to do is create a
 22 microclimate next to our skin that wicks the
 23 water away from the surface of our skin.
 24 So next to skin clothing is important.
 25 Now can I issue that at the heliport?

Page 247

1 Probably not. If you tell me that you've
 2 drycleaned someone else's underwear and give
 3 it to me, I'm probably not going to want to
 4 take it. But if I'm issued that at the very
 5 onset and I say well, this is my underwear for
 6 whenever I fly and I need to show up at the
 7 heliport with this stuff because I'm going to
 8 be required and I'm going to actually be
 9 checked when I get there, are you wearing
 10 thermal clothing next to skin, no cotton next
 11 to skin, then yes, I think that's a reasonable
 12 application. But who pays for that or how
 13 that's designed, I don't think I need to speak
 14 to that part of it, but I think it's an
 15 important aspect of it.
 16 ROIL, Q.C.:
 17 Q. Before you go any further, we are at 3:30. I
 18 don't know, Commissioner, whether you'd rather
 19 we went through and did the conclusion. It
 20 might take five or ten minutes, and take our
 21 break a little later, or whether you would
 22 prefer -
 23 COMMISSIONER:
 24 Q. I think that would probably be a good idea,
 25 and then we can see where we're going after

Page 248

1 that.
 2 ROIL, Q.C.:
 3 Q. Yeah. So we'll continue.
 4 MR. TABER:
 5 A. Okay, because I'm on my last -
 6 ROIL, Q.C.:
 7 Q. Yeah, you're on your second last slide now
 8 anyway.
 9 MR. TABER:
 10 A. Yeah. So the physical preparation, I think,
 11 is also important. I think that physically
 12 getting yourself organized when you're in the
 13 helicopter or when you're watching a pre-
 14 flight video and going through this process is
 15 to actually perform the skill set that you
 16 think you might have to do and Sue Coleshaw,
 17 Dr. Coleshaw identified the fact that it's
 18 important to think about it ahead of time, and
 19 we do that when we fly. I sit down and I go,
 20 okay, what would I do, and I actually reach
 21 down and figure out where that lifejacket is.
 22 I figure out where are my first reference
 23 points going to be, and I know when I sit down
 24 people start to look at me a little bit
 25 strange and when I tighten my seatbelt, I

Page 249

1 actually take the time to use -- put away the
 2 loose end of the strap, so that if for some
 3 reason something happens, that tiny bit of
 4 material that might come over the release
 5 mechanism is never in the way. I never wear a
 6 tie when I fly either because that small bit
 7 of material around my neck may, in some case,
 8 become an issue, and we've seen this in cases
 9 before for flyers, an aircraft crashes, where
 10 small little things make a big difference.
 11 So this physical preparation of going
 12 through a brace position, actually sitting
 13 down, and I was thinking about it as I was
 14 preparing the presentation and also the
 15 report, but more so for the presentation is
 16 that it may be that we get to the point where
 17 we say, at the heliport, there is a physical
 18 representation of the inside of the aircraft.
 19 So there's maybe two seats and exits that
 20 represent the aircraft and before I fly, I sit
 21 down in that, strap in, make sure everything
 22 fits good, go through a brace position and
 23 then figure out how do I open this exit,
 24 physically open the exit, grab the reference
 25 point, undo the harness and make my way, not

Page 250

1 all the way through the exit, but at least to
 2 the stage where we get to that. Maybe that's
 3 where we need to go, but there is no research
 4 that's identifying that right now at this
 5 stage, but I think it's important when you sit
 6 in the aircraft to physically prepare yourself
 7 and say, okay, these are the steps that I need
 8 to do and this is where we build muscle memory
 9 and the more times we do it, the more practice
 10 we get, and this is how we offset maybe the
 11 gap between when we do our recurrency
 12 training. So every time I fly I go through
 13 the same steps and now I've got the capability
 14 of being able to do that physically.
 15 As far as the psychological preparation,
 16 this is really, as Dr. Coleshaw had mentioned,
 17 being ready, just in case. Saying it might
 18 happen today. If I show up at the heliport, I
 19 haven't eaten properly, I haven't slept
 20 properly and I sit down and I go, oh, it's not
 21 going to happen today, there's nothing ever
 22 going to happen, then I'm not psychologically
 23 prepared if the event does occur and I think
 24 that's just as important. If we're thinking
 25 about a survival equation, we would think of

Page 251

1 the physical component as well as
 2 psychological component have equal weighting
 3 in that equation. So it's very important that
 4 we prepare ourselves psychologically just in
 5 the event that something does occur.
 6 I don't know if there's anything else on
 7 that.
 8 ROIL, Q.C.:
 9 Q. No, that's fine. I think that you're very
 10 clear on those points.
 11 MR. TABER:
 12 A. Okay. As far as the conclusions go, I think
 13 based on all of the slides that I've
 14 identified and the report as well, I think
 15 there needs to be a greater understanding of
 16 that interrelated influence of the multiple
 17 factors. So we talk about the equipment, the
 18 human, the environment and try to think about
 19 how those integrate and how we get ourselves
 20 to a better stage of understanding what's
 21 going on.
 22 An examination of the HUET course
 23 requirements. At this stage, although there's
 24 been research that's been done, Mills and Muir
 25 looked at, well, how much do we retain that

Page 252

1 information and they looked at six months
 2 after. They looked at one year, 18 months,
 3 two years, three years, four years and then
 4 identified that after even just six months
 5 individuals weren't able to -- or a third of
 6 the individuals weren't able to perform the
 7 basic skill set of opening an exit underwater
 8 inverted. Dr. Kozey and colleagues at
 9 Dalhousie have also identified six months
 10 later that they're not able to perform those
 11 skill sets at the level that we might think.
 12 Is it six months later? That might be based
 13 on what we've done in the initial onset. So
 14 how we've trained the individuals and what
 15 sort of information they take with them when
 16 they go offshore.
 17 So I think that more realistic testing
 18 and training in the environment is needed to
 19 ensure that the equipment and personnel can
 20 perform at expected predicted level. That's
 21 that 85 percent that I was talking about
 22 earlier, the Shanahan studies that have been
 23 done for the US military. I think that it's
 24 reasonable for us to expect, in 2010, that if
 25 we have an event that occurs, there should be

Page 253

1 some sense that we're going to meet the human
 2 limitations that are there. If we account for
 3 the equipment, the environment, the tasks that
 4 are required from the individual and if it's
 5 within human tolerances, then we should sort
 6 of see a trend that moves us toward that 85
 7 percent and we know that the US military has
 8 achieved in excess of 85 percent with trained
 9 individuals. Canadian military as well. They
 10 had a 100 percent survival rate until the
 11 Cormorant ditching in Canso and that was
 12 related more to equipment issues as opposed to
 13 physical performance of the individuals or the
 14 training that was related to that. So up
 15 until that event, they had a 100 percent
 16 survival rate after they started doing the
 17 training. So we do see that that's -- that's
 18 something that I think we should start looking
 19 at.
 20 More focused research on the human system
 21 integration is required, absolutely. I don't
 22 think that there's any question there because
 23 we don't really understand all of the aspects
 24 that are out there.
 25 And that concludes my presentation. I

Page 254

1 think I'll pass it back to -
 2 ROIL, Q.C.:
 3 Q. Okay. Well, Mr. Taber, thank you very much
 4 for the animated presentation that you have
 5 given and we will now take a break for about
 6 15 minutes and come back and others will have
 7 an opportunity to ask some questions.
 8 MR. TABER:
 9 A. Okay, thank you.
 10 COMMISSIONER:
 11 Q. Okay.
 12 (BREAK)
 13 COMMISSIONER:
 14 Q. Now ladies and gentlemen, I've found my list.
 15 Transport Canada is not here. CAPP?
 16 MR. SCHULTZ:
 17 Q. No, thank you, sir.
 18 COMMISSIONER:
 19 Q. No questions, thank you. Oil operators?
 20 MS. STRICKLAND:
 21 Q. No questions at this time.
 22 MR. PRITCHETT:
 23 Q. No questions, Commissioner, thank you.
 24 COMMISSIONER:
 25 Q. No questions. Okay, thank you. Counsel for

Page 255

1 Cougar, Mr. Stamp, did you have any questions
 2 of Mr. Gerber (sic)?
 3 STAMP, Q.C.:
 4 Q. No.
 5 COMMISSIONER:
 6 Q. Okay, thank you. Helly Hansen?
 7 MR. SPENCER:
 8 Q. (unintelligible),
 9 COMMISSIONER:
 10 Q. I'll come back to him then. Counsel for MUN?
 11 HURLEY, Q.C.:
 12 Q. Not at this time, Mr. Commissioner.
 13 COMMISSIONER:
 14 Q. Thank you. Government of Newfoundland and
 15 Labrador?
 16 MS. LAENGLE:
 17 Q. None at this time, thank you.
 18 COMMISSIONER:
 19 Q. Thank you. Mr. Harris?
 20 MR. MICHAEL TABER, EXAMINATION BY JACK HARRIS, Q.C.
 21 HARRIS, Q.C.:
 22 Q. Thank you, Mr. Commissioner, and good
 23 afternoon, Mr. Taber. My name is Jack Harris.
 24 I'm a Member of Parliament, and I just have
 25 one area I wanted to explore with you. When

Page 256

1 you showed up the chart and the graph of all
 2 of the ditchings throughout the world in the
 3 last ten years, I thought we might -- I
 4 thought you might have elaborated on it a
 5 little bit, but one question occurred to me.
 6 You talked about accidents being survivable
 7 and I want to ask you what in fact that means,
 8 because we have heard, and I've in fact heard
 9 it in Parliament by a representative of the
 10 Government, to suggest that the accident that
 11 occurred -- the Cougar accident that caused
 12 this Inquiry was in fact not a survivable
 13 accident. Yet of course, we do know that two
 14 individuals escaped from the helicopter, one
 15 survived. I found that statement being made
 16 officially as being rather incredible. Is
 17 there some technical term that I'm missing
 18 here, and can you -- are you able to explain
 19 that in the context of analysis of ditchings
 20 or crashes?
 21 MR. TABER:
 22 A. I'll try. It's not an easy question to answer
 23 though because the term survivable crash or
 24 ditching relates to human tolerances, the
 25 environmental conditions within the immediate

Page 257

1 space around the individual and a number of
 2 other small factors that I'm not completely
 3 sure when we look at the survivable accident
 4 distinction between CAA and FAA. There are
 5 some discrepancies that are there, and that's
 6 why I tried to identify that the Shanahan
 7 reports are saying within human tolerances,
 8 and we look at G forces or the research is
 9 looking at G forces that are impacting, the
 10 amount of time from the point of initial
 11 impact to the end of that impact. So we would
 12 reasonably expect an individual, an average
 13 individual to survive 20 G forces during an
 14 impact, and if we can identify -- and I don't
 15 know what the end G force level was. The
 16 report's not out to identify what that was for
 17 the event. So I couldn't say whether that was
 18 survivable or not survivable. So if we say
 19 that it was, let's say, 40 G's and we know
 20 that the seats worked to 20 G plus.
 21 We also look at research that was done
 22 for the race car drivers. Right now they've
 23 done in excess of 100 G's and survived that
 24 without any injuries whatsoever. We would
 25 have to identify then what is the immediate

Page 258

1 environment around that individual and then
 2 sort of make a decision at that point, well,
 3 was it survivable or wasn't it? And what I
 4 find as well strange is that if individuals
 5 survive, how can we then say it was non-
 6 survivable? And I've always struggled with
 7 that, even in the academic circles and people
 8 have difficulty trying to explain that
 9 distinction between survivable and non-
 10 survivable if someone does actually survive
 11 the event.
 12 HARRIS, Q.C.:
 13 Q. I think certainly the family members found it
 14 disturbing to hear that, especially when it
 15 was used as an excuse as to why the response
 16 time for search and rescue was not an issue
 17 because the crash was unsurvivable. It
 18 doesn't seem to me to be very useful
 19 distinction to make in a situation like this.
 20 What -- in terms of the limits of
 21 survivability though, if the G factor is a
 22 force, clearly a seat that's able to withstand
 23 a higher -- or do the collapsible -- be
 24 collapsible in a way that absorbs some of the
 25 force will obviously increase the

Page 259

1 survivability of a crash.
 2 MR. TABER:
 3 A. Absolutely.
 4 HARRIS, Q.C.:
 5 Q. Would you say that -- I think you said in your
 6 testimony we got to be careful of doing that
 7 unless you're -- you have reasonable assurance
 8 that that's not going to cause problems in
 9 other areas.
 10 MR. TABER:
 11 A. Right, but for the pure human tolerances, a 20
 12 G seat stroking device alleviates or reduces
 13 the amount of impact forces that are
 14 transferred to the individual. So that's
 15 really -- if we have a 20 G crash and the seat
 16 strokes, it's supposed to attenuate the impact
 17 forces that are associated with that to a
 18 certain degree, and it also depends on the
 19 direction of the force as well. So if it's
 20 rear facing seat, 4-point harness and we have
 21 a vertical impact force that drives us back in
 22 the seat, that's much more survivable than if
 23 we're in a lapbelt facing forward and we
 24 impact in a forward position. So it really
 25 depends on a number of different factors that

Page 260

1 are related to whether we consider it
 2 survivable or not and even within one
 3 environmental space, let's say it's cockpit
 4 versus cabin, is it survivable for the pilots
 5 and not the passengers or the other way
 6 around? That's difficult to say, but if the
 7 pilots impact a surface with their head or
 8 break both their arms, both their legs,
 9 collarbone, you know, there's a number of
 10 impact injuries that occur, then perhaps
 11 that's non-survivable in that case, in that
 12 small environment. Whereas in the cabin, it
 13 might be survivable. So it's -- there's a
 14 number of factors that are taken into place to
 15 identify what is a survivable accident, and I
 16 think that's the best explanation that I can
 17 give you at this point.
 18 HARRIS, Q.C.:
 19 Q. What about the seats that are in the current
 20 configuration of the Cougar crash? Do they
 21 have any particular properties that would be
 22 designed to absorb G forces and to what level,
 23 do you know?
 24 MR. TABER:
 25 A. Yes, both pilot and -- or air crew and

1 passenger seats have stroking capability and
 2 they're 20 G. So if we're within that range,
 3 then we know if the average person would
 4 survive a 20 G impact without a seat, we would
 5 say a 20 G crash with a seat should then be
 6 within human tolerances. That's not to say
 7 they'll survive, but it should be.

8 HARRIS, Q.C.:

9 Q. And is that the limits of the stroking seats?
 10 Are there seats that can absorb more G forces
 11 or what -- is there a range in which these
 12 products are developed?

13 MR. TABER:

14 A. There are a few different seats that are
 15 manufactured, but typically industry standards
 16 are around the 20 G force range and that comes
 17 from research that was done by Colonel John
 18 Stapes, US military. He was the original
 19 human guinea pig and he put himself on a
 20 rocket sled and did 50-60 Gs to himself for
 21 years and said, "yeah, I can survive this, so
 22 so should every else." But if can put a seat
 23 in place, then we think the 20 G range is
 24 probably a reasonable position to start off
 25 with, but there are seats that would attenuate

1 COMMISSIONER:

2 Q. You might press the button on that mic. There
 3 we are.

4 MR. TABER:

5 A. I think it's on there now.

6 COMMISSIONER:

7 Q. Okay.

8 MR. TABER:

9 A. I'll go from one side of the suit to the
 10 other. So look at the far left side, we can
 11 see emergency breathing system that's been
 12 integrated into the vest itself.

13 HARRIS, Q.C.:

14 Q. Is that the rebreathing type?

15 MR. TABER:

16 A. This is the HUEBA. It's not rebreathing type,
 17 no, this is compressed air system.

18 HARRIS, Q.C.:

19 Q. It has compressed air, yeah.

20 MR. TABER:

21 A. Yes, that's right. So it's been fully
 22 integrated and everything is attached, closed
 23 in, so as far as I'm concerned, my opinion
 24 would be that no, this doesn't represent an
 25 issue as far as snagging is concerned when

1 a higher level of that. So I think that the
 2 most I've seen is somewhere around 30 G, but
 3 I'm not sure exactly. I couldn't swear to
 4 that.

5 HARRIS, Q.C.:

6 Q. Thank you. The other question I had, and I'm
 7 looking at our friend over here on the coat
 8 rack. You talked about the Christmas tree
 9 effect. That particular outfit there doesn't
 10 look to be really loaded up. I see three or
 11 four items there. Would you be able to
 12 identify what they are for us and tell us
 13 whether you think that that particular
 14 configuration is problematic or is that within
 15 the useable range?

16 MR. TABER:

17 A. Absolutely. Do you want me to stand up to
 18 point -

19 HARRIS, Q.C.:

20 Q. Yes.

21 MR. TABER:

22 A. Okay.

23 HARRIS, Q.C.:

24 Q. Maybe someone can -- maybe the camera can get
 25 you, I don't know.

1 dealing with that.

2 Strobe light is in the centre of the
 3 chest here and again, low profile, not really
 4 an issue as far as snagging goes when we're
 5 dealing with that.

6 HARRIS, Q.C.:

7 Q. Does that operate automatically or have to
 8 turn it on?

9 MR. TABER:

10 A. There's two different styles. I couldn't
 11 answer whether it's an automatic or a manual.
 12 I believe this one has both, but it might be a
 13 manual. In fact, it might be -- I don't know
 14 if it needs -- it probably needs water to
 15 activate it so I'll just leave that now.

16 Then a personal locating beacon that's in
 17 position with an antenna that's here and I
 18 would say that this is definitely a good
 19 position to be in. If I had any sort of
 20 comments about snagging hazards, I would like
 21 to see this sort of looked at, the antenna.
 22 Not necessarily that it's going to be an
 23 issue, but -- and it seems to be quite close
 24 to the surface of the suit, so it's really not
 25 hanging out there too much, so I wouldn't say

Page 265

1 that it's a major issue, but I couldn't say
 2 without actually testing to try to identify
 3 it. Based on my experience though, I would
 4 say that it would be one of the things that I
 5 would sort of identify as hanging out there a
 6 little bit, a small amount.
 7 HARRIS, Q.C.:
 8 Q. Could that be integrated into the suit by some
 9 sort of sewing in or whatever?
 10 MR. TABER:
 11 A. I'm sure. In fact I think that if we just did
 12 that, it might be -- if we just move the
 13 antenna slightly, but the problem with doing
 14 that is that there may be, during the course
 15 of wearing the suit that things start to move
 16 around a little bit. So that would be the
 17 only sort of thing that would sort of stick
 18 out in my mind. As far as the rest of the
 19 suit goes, there's really no other components.
 20 The pull tab for the floatation device, the
 21 external floatation device that's there,
 22 that's sort of tucked away. You have a
 23 harness on. That's not really -
 24 HARRIS, Q.C.:
 25 Q. And that pull tab operates same way that the

Page 266

1 ones that they show you on an airplane every
 2 time you're on board.
 3 MR. TABER:
 4 A. Exactly.
 5 HARRIS, Q.C.:
 6 Q. You pull on it and it -
 7 MR. TABER:
 8 A. The only spot that I would say it might get
 9 caught up is maybe on a window frame when
 10 you're making your way out. So if you lean
 11 against it, but you want your floatation
 12 device to be activated anyway, so as you make
 13 your way toward the surface, you're going to
 14 be doing that anyway or as soon as you get to
 15 the surface as well. So if there were any
 16 issues, the only one that I would say out of
 17 all, that's based on my experience, would be
 18 maybe the small bit of material that's here.
 19 But otherwise, I think that they've done a
 20 good job of trying to identify how close
 21 things need to be to the surface and in fact,
 22 even one of the modifications to this suit,
 23 the low profile exhaust valves that are in the
 24 back of the suit, as well as at the shoulder.
 25 So to try to limit the amount of surface area

Page 267

1 that sticks out away from the individual is
 2 extremely important and I think it's sort of
 3 where we need to be.
 4 HARRIS, Q.C.:
 5 Q. So the thing that you got here is something to
 6 help you breathe to get out.
 7 MR. TABER:
 8 A. Yes.
 9 HARRIS, Q.C.:
 10 Q. Something to see you when you're out, and
 11 someone to locate you if they can't see you?
 12 MR. TABER:
 13 A. Absolutely.
 14 HARRIS, Q.C.:
 15 Q. So that's not overloaded. You could probably
 16 handle something else if you needed it.
 17 MR. TABER:
 18 A. Well, I don't know if I'd start adding too
 19 much more. I think we sort of got what we
 20 need here, as far as the equipment base. So I
 21 don't think that there's really a need for a
 22 GPS and a little motor or anything else to try
 23 to get us somewhere else, but I think that
 24 we're sort of at the stage where if more was
 25 added, then it would be something that we'd

Page 268

1 have to consider.
 2 HARRIS, Q.C.:
 3 Q. All right, thank you. Thank you very much,
 4 Mr. Taber. Those are all my questions, Mr.
 5 Commissioner.
 6 COMMISSIONER:
 7 Q. Thank you. Mr. Earle?
 8 MR. MICHAEL TABER, EXAMINATION BY V. RANDELL J. EARLE,
 9 Q.C.
 10 EARLE, Q.C.:
 11 Q. Good afternoon, Mr. Taber. I'm Randell Earle.
 12 I represent CEP Local 2121, bargaining agent
 13 for the employees at the Hibernia platform and
 14 the Terra Nova FPSO. I have a few questions
 15 for you, firstly, in the area of HUET
 16 training. Am I hearing it right and you're
 17 saying, particularly in the area of
 18 procedural, our training is a bit light and
 19 people aren't getting the repetition of the
 20 tasks necessary to retain these tasks for the
 21 period of time in between initial training and
 22 refresher?
 23 MR. TABER:
 24 A. I think that research has shown that quite
 25 convincingly that, yes, in fact, we're not

Page 269

1 retaining that information as long as what we
 2 might have thought. So this comes from the UK
 3 as well as research that's been done here in
 4 Canada as well. So yeah, I would say that.
 5 EARLE, Q.C.:
 6 Q. Now your table at page 28 of your report, the
 7 revised one -
 8 ROIL, Q.C.:
 9 Q. We're not able to bring that exhibit up.
 10 Seems to be a technological issue here.
 11 EARLE, Q.C.:
 12 Q. Yes. If we could -- perhaps it's just as well
 13 to wait.
 14 REGISTRAR:
 15 Q. What page, Mr. Earle?
 16 EARLE, Q.C.:
 17 Q. 28. I guess we've got a different numbering.
 18 MR. TABER:
 19 A. It's 28 on the report itself, but it starts at
 20 number one once it gets beyond the Table of
 21 Contents. So -
 22 ROIL, Q.C.:
 23 Q. Add one number, so it would be 29.
 24 EARLE, Q.C.:
 25 Q. 29.

Page 270

1 REGISTRAR:
 2 Q. 29?
 3 ROIL, Q.C.:
 4 Q. Yeah.
 5 MR. TABER:
 6 A. Well, in fact, it's probably further along
 7 than that. If you just scroll down and see
 8 what page we're on here. So there's 19, so we
 9 still have quite a distance, because there's
 10 Table of Contents, list of figures, list of
 11 tables and then the report starts at number
 12 one.
 13 EARLE, Q.C.:
 14 Q. You're not the first one we've had this
 15 problem with.
 16 REGISTRAR:
 17 Q. 28.
 18 MR. TABER:
 19 A. There we go.
 20 EARLE, Q.C.:
 21 Q. I'm curious about the following items, and
 22 that is in your tasks, the third task is
 23 controlled ditching to surface, including exit
 24 jettison procedures and subsequent immersion,
 25 (no inversion), and then second from the last,

Page 271

1 number of times exit is jettisoned underwater.
 2 MR. TABER:
 3 A. Yes.
 4 EARLE, Q.C.:
 5 Q. Would you tell us what the difference we're
 6 dealing with here is, what's going on?
 7 MR. TABER:
 8 A. Okay. The difference is that if there is
 9 jettisoning the exit at the surface of the
 10 water, then when I was looking at, and I
 11 believe you're asking about jettisoning
 12 underwater, is that correct?
 13 EARLE, Q.C.:
 14 Q. Yes.
 15 MR. TABER:
 16 A. That it's been shown, research both here as
 17 well as in the UK, that jettisoning the exit
 18 underwater in an inverted position is
 19 desirable, that we think it's important for
 20 people to be able to practice the skillset
 21 that they're going to use in a real situation.
 22 So the chances of opening the exit at the
 23 surface of the water are limited. There may
 24 be cases, but we know from research that not
 25 only I've conducted, but other researchers

Page 272

1 have conducted, that the roll over rate, the
 2 inversion rate of helicopters is quite high.
 3 In around the area of 70 percent of all
 4 helicopters that touch down on the surface of
 5 the water will invert rapidly. So the chances
 6 of jettisoning an exit at the surface is
 7 probably not one of the skillsets that you're
 8 going to be required to do.
 9 EARLE, Q.C.:
 10 Q. Now when we talking about jettisoning an exit,
 11 I take we're including both the door and the
 12 window?
 13 MR. TABER:
 14 A. It can be a mechanical exit or a push out, any
 15 style of exit that you need to operate.
 16 EARLE, Q.C.:
 17 Q. I want to go to the area of your purchasing of
 18 thermal underwear. First of all, in respect
 19 of that, you have a background in the actual
 20 training area of this escape training. You've
 21 done a lot of things in the interim, but
 22 that's where you started out is my
 23 understanding.
 24 MR. TABER:
 25 A. Absolutely.

Page 273

1 EARLE, Q.C.:

2 Q. As I understand it from the evidence we've had

3 from Dr. Coleshaw, the recommended buoyancy in

4 some reports is 150 neutons, no more, that the

5 Canadian General Standards Board standard for

6 the Canadian suit is no less than 156 and no

7 more than 175.

8 MR. TABER:

9 A. Yes.

10 EARLE, Q.C.:

11 Q. You agree with me on that, and that we have

12 studies which indicate that the ability of a

13 naive subject to exit a submerged helicopter

14 is - without hand hold, is restricted, and a

15 significant proportion fail at buoyancies of

16 98 to 137 neutons. Are you familiar with -

17 MR. TABER:

18 A. Right, that's the work by Dr. Chris Brooks.

19 EARLE, Q.C.:

20 Q. Yes.

21 MR. TABER:

22 A. Yes.

23 EARLE, Q.C.:

24 Q. And I believe you've actually worked with Dr.

25 Brooks?

Page 274

1 MR. TABER:

2 A. I have a number of times, yes.

3 EARLE, Q.C.:

4 Q. So it seems to me that we can conclude from

5 that, that for the ordinary passenger the

6 exiting in this suit, without hand hold, is

7 going to be challenged by buoyancy issues. Is

8 that correct?

9 MR. TABER:

10 A. I would say that from my experience, and keep

11 in mind that I've trained over 10,000 people

12 in these types of suits for the offshore oil

13 and gas, and I would say that we see those

14 differences for smaller individuals.

15 EARLE, Q.C.:

16 Q. Pardon?

17 MR. TABER:

18 A. We see those differences for smaller

19 individuals. So below - so size small or

20 extra small, that's where we see the greatest

21 difference, but for the average individual,

22 say, 150 pounds and above, it's not as - I

23 personally have not seen as much of an issue

24 related to buoyancy of that suit.

25 EARLE, Q.C.:

Page 275

1 Q. Okay. Are we not, by adding thermal

2 underwear, adding buoyancy?

3 MR. TABER:

4 A. If we're trapping air, then potentially, but

5 if the clothing itself is mutually buoyant,

6 then we're not, in fact, adding any additional

7 buoyancy. In fact, what we would do is if we

8 think about thermal insulation that's related

9 to that, the .75 Clo, it could be that in the

10 future that's not .75 Clo, that we offset that

11 with the clothing that we issue or they buy in

12 that position. If you take clothing - if you

13 take your clothing right now and you put it in

14 the water, if there's no trapped air in it,

15 then it's not adding additional buoyancy in

16 that position.

17 EARLE, Q.C.:

18 Q. No, but presumably inside a suit we're trying

19 to keep dry -

20 MR. TABER:

21 A. Right, and there may be a larger air gap, but

22 if it's not that much - I mean, when I'm

23 talking about insulating underwear or

24 clothing, I'm not talking about in excess of 1

25 or 2 neutons or anything like that. I'm

Page 276

1 talking about clothing that's tight fitting

2 next to your skin that doesn't have a lot of

3 air difference, and, in fact, would fit in

4 that suit the same as your shirt or your

5 pants, or whatever else that you're wearing.

6 EARLE, Q.C.:

7 Q. I heard you say that in the wintertime you

8 actually go with three layers?

9 MR. TABER:

10 A. Four layers in the winter, and three in the

11 summer, two to three in the summer.

12 EARLE, Q.C.:

13 Q. So aren't you adding buoyancy by doing that?

14 I mean, this is important. I hear you telling

15 people to, look, you should be wearing thermal

16 underwear, multiple layers wearing these

17 suits, and I will tell you I've read other

18 reports which seem to suggest that adds

19 buoyancy and with the Canadian suit, that is

20 not advisable because we're at the upper

21 limits of buoyancy?

22 MR. TABER:

23 A. And I'm suggesting that the type of clothing

24 that I'm wearing isn't adding excessive

25 buoyancy, and if it is, it's negligible, it's

Page 277

1 not - and the only way that it will increase
 2 the buoyancy is if it traps more air inside
 3 that suit.
 4 EARLE, Q.C.:
 5 Q. But isn't the whole principle of thermal
 6 underwear that it does trap air?
 7 MR. TABER:
 8 A. It does trap a small amount of air, but the
 9 important part actually for me is that it
 10 wicks the water away from my skin.
 11 EARLE, Q.C.:
 12 Q. And the importance of that is?
 13 MR. TABER:
 14 A. If I have water next to my skin, hypothermia
 15 is more likely to be an issue for me than if I
 16 don't have water held next to my skin. So
 17 cotton versus thermal protective underwear
 18 would wick that or polypropylene type
 19 synthetic fibres will wick that water away
 20 from -
 21 EARLE, Q.C.:
 22 Q. So you would say that the value of wicking
 23 away moisture exceeds the detriment of
 24 buoyancy?
 25 MR. TABER:

Page 278

1 A. Right, if we assume that it's adding a
 2 considerable amount of buoyancy, but if we
 3 suggest that it's not adding a considerable
 4 amount of buoyancy, then the benefit is far
 5 greater.
 6 EARLE, Q.C.:
 7 Q. Well, do you know how many neutons?
 8 MR. TABER:
 9 A. No, I don't. I can't answer how many neutons
 10 a pair of underwear is going to add to that
 11 overall suit, and I don't think that it's - I
 12 don't know of any studies that have been done
 13 particularly to look at the increase in
 14 buoyancy based on thermal insulation
 15 underwear, and I'm talking - I'm not talking
 16 about, you know, pile that's this thick, I'm
 17 talking about next to skin thin layered suits,
 18 and that's why I wear four next to the skin
 19 and it's really no thicker than maybe not even
 20 a sweat shirt in thickness, but it wicks the
 21 water away from my skin.
 22 EARLE, Q.C.:
 23 Q. Very good. Now we have that clarified. Now
 24 the other thing I wanted to ask you about is
 25 the importance of fit. Mr. Roil may have

Page 279

1 given the impression that the E452 is history
 2 in the Newfoundland offshore, but I understand
 3 that workers going to the Stenna Carron are
 4 still wearing the E452.
 5 MR. TABER:
 6 A. Okay.
 7 EARLE, Q.C.:
 8 Q. And I don't know if the picture of the 452 was
 9 left there on the desk.
 10 MR. TABER:
 11 A. I have enough experience, I think I know -
 12 it's not up here, but I'm okay with it.
 13 EARLE, Q.C.:
 14 Q. Well, you've seen the picture and it's quite a
 15 bulky fit, and as I understand it from Dr.
 16 Coleshaw, the material and the extra air space
 17 that's there and the potential for trapping of
 18 air adds to buoyancy?
 19 MR. TABER:
 20 A. Absolutely, no question.
 21 EARLE, Q.C.:
 22 Q. So my question for you is looking at the E452,
 23 would you consider a better fit than that to
 24 be desirable?
 25 MR. TABER:

Page 280

1 A. I think that - is this in comparison to the
 2 HTS-1? Is that what you're asking?
 3 EARLE, Q.C.:
 4 Q. No, I'm just asking you if -
 5 MR. TABER:
 6 A. If this should be a better fit?
 7 EARLE, Q.C.:
 8 Q. Yes, if we should be looking for a better fit
 9 than that?
 10 MR. TABER:
 11 A. I would say that I've seen more excessive
 12 material than that before, and I would suggest
 13 that that's not necessarily a huge - I think a
 14 better fit would be great, but I would say
 15 within the sizing that was used for the 452,
 16 and I understand now that they're being used
 17 elsewhere, this individual, taking into
 18 consideration there's no context of size, we
 19 don't know how tall this individual is, we
 20 don't know how much they weigh, we don't have
 21 any anthropomorphic data, so I'm suggesting
 22 that if they were issued a medium, I would get
 23 them to wear a small to see if they could
 24 actually fit into a small because it may be
 25 that they can't fit into a small, so it might

Page 281

1 mean they need to be custom fit to a suit. I
 2 don't know if I can answer your question
 3 directly. I think more suit material adds
 4 buoyancy.
 5 EARLE, Q.C.:
 6 Q. You seem to be answering the question,
 7 accepting a limited range of sizing.
 8 MR. TABER:
 9 A. Yes.
 10 EARLE, Q.C.:
 11 Q. And it seems to me that one of the things that
 12 we learned with the 452 was that we needed a
 13 greater range of sizing.
 14 MR. TABER:
 15 A. Absolutely, and I'm not arguing that. I would
 16 say that that's absolutely true. I think a
 17 greater range of suits would be perfect
 18 because - particularly for myself, I can fit
 19 into a small size suit, but the boots - in the
 20 452, the boots are too small for me, so I had
 21 to go to a medium suit, which means that I had
 22 extra material. It is undesirable in a
 23 ditching situation. There's no question that
 24 the air trapped in a suit would add to the
 25 buoyancy and then make it more difficult for

Page 282

1 an individual to egress.
 2 EARLE, Q.C.:
 3 Q. Thank you very much.
 4 COMMISSIONER:
 5 Q. Thank you, Mr. Earle. Now, Ms. O'Brien, it's
 6 twenty past. Would you prefer - I'll explain
 7 what's coming up to people. Would you prefer
 8 to delay your cross-examination until tomorrow
 9 when we're all going to be back here again, in
 10 any event, or would you rather go now and try
 11 to finish in five minutes because - I should
 12 explain to the group, in the evidence this
 13 morning there were references in Ms. O'Brien's
 14 questioning to pilots and the pilot suits, and
 15 we all heard that, and the matter was not
 16 really clarified. I think that this evidence,
 17 expert evidence has clarified it, but also
 18 Cougar is here and the chief pilot of Cougar
 19 is here. He cannot be here tomorrow, but he
 20 would be prepared to explain, and Mr. Stamp
 21 would ask him questions, the whole pilot suit
 22 thing, and so I would like to not proceed with
 23 the rest of the cross-examination or
 24 examination now, and deal with the matter of
 25 the pilot's suits so that we're all fully

Page 283

1 informed because we're getting to the end of
 2 the process, it's not as if we were trying to
 3 fit something in in two or three weeks ahead
 4 of us, so I'd like to do that now, and we are
 5 going to be back here in the morning, anyway,
 6 and conclude Mr. Taber's cross-examination
 7 because you are the only one left now, and Ms.
 8 O'Brien tomorrow morning, and Mr. Martin -
 9 MR. MARTIN:
 10 Q. I have no questions of Mr. Taber, in any
 11 event.
 12 COMMISSIONER:
 13 Q. So all right then, if you'll stand down, Mr.
 14 Taber, until tomorrow morning at 9:30, and
 15 we'd call you up, Mr. Stamp, and Mr. Gerber,
 16 and clarify this issue of the pilot suits, why
 17 they are as they are.
 18 MR. JAKOBUS JOHANNES GERBER (AFFIRMED) EXAMINATION BY
 19 KEVIN STAMP, Q.C.:
 20 REGISTRAR:
 21 Q. State your name, please.
 22 MR. GERBER:
 23 A. My full name is Jakobus Johannes Gerber.
 24 Everybody prefers to call me JJ.
 25 STAMP, Q.C.:

Page 284

1 Q. As I will, Captain Gerber. Mr. Commissioner,
 2 I would just like to say thank you for the
 3 opportunity to have Captain Gerber to speak to
 4 these few points briefly this afternoon. As
 5 you say, the last witness, Mr. Taber, did I
 6 think clarify some of the issues that had
 7 perhaps arisen, but I would like to have
 8 Captain Gerber speak to these a little bit as
 9 well. Captain Gerber, first of all, can you
 10 tell us your actual position now with Cougar
 11 Helicopters?
 12 MR. GERBER:
 13 A. My position is Director of Flight Operations,
 14 and I manage the Flight Department. So really
 15 anything that doesn't have to do with
 16 maintenance or administrative roles, I'm the
 17 Manager of that part of the business.
 18 STAMP, Q.C.:
 19 Q. And what are your responsibilities in that
 20 role?
 21 MR. GERBER:
 22 A. My responsibilities are three. Number one, to
 23 ensure that Cougar has a safe operation.
 24 Number two, to make sure that it's a legal
 25 operation with two parts to that; legal in

Page 285

1 regards to regulation by Transport Canada, and
 2 secondly, to meet the requirements that we are
 3 contracted for by our customers. The last
 4 responsibility is to make sure that those
 5 people that work for me have the resources to
 6 do the first two items.
 7 STAMP, Q.C.:
 8 Q. And this position of Director of Flight
 9 Operations, is this a term known in aviation
 10 operations or is it a recognized term?
 11 MR. GERBER:
 12 A. Yes, it's probably more commonly known as
 13 Operations Manager in other jurisdictions, but
 14 in Canada the title, DFO, Director of Flight
 15 Operations is fairly familiar, and it's a
 16 Transport Canada mandated position, a company
 17 must have that position, and they approve of
 18 the individual holding that position.
 19 STAMP, Q.C.:
 20 Q. Okay.
 21 COMMISSIONER:
 22 Q. I am sorry then to have called you a chief
 23 pilot, although that's a fine designation.
 24 MR. GERBER:
 25 A. It is a fine designation, sir.

Page 286

1 COMMISSIONER:
 2 Q. You were chief pilot at one stage.
 3 MR. GERBER:
 4 A. Yes, sir.
 5 COMMISSIONER:
 6 Q. Is that correct?
 7 MR. GERBER:
 8 A. Yes, that's correct.
 9 STAMP, Q.C.:
 10 Q. And Captain Gerber, do you also or can you
 11 also fly passengers to offshore facilities in
 12 Newfoundland and Labrador?
 13 MR. GERBER:
 14 A. Yes, I am a qualified captain of the S-92
 15 helicopter.
 16 STAMP, Q.C.:
 17 Q. Now you've heard the discussion, of course,
 18 and you know what particularly we're
 19 interested in which is the issues associated
 20 with the suit colour, the flight crew suit
 21 colour and its thermal protection. Now on the
 22 issue of the colour, you've heard Dr. Coleshaw
 23 comment that passengers wear bright yellow
 24 suits and I recognize that that's orange, but
 25 bright suits, and flight crews tend to wear

Page 287

1 blue suits, and her concern was with the issue
 2 of visibility if you're in the water.
 3 MR. GERBER:
 4 A. Yes.
 5 STAMP, Q.C.:
 6 Q. And on that point, first of all, can you
 7 confirm that Cougar flight crew wear a blue
 8 suit?
 9 MR. GERBER:
 10 A. That is correct, dark blue.
 11 STAMP, Q.C.:
 12 Q. And not to be flippant, but is it for
 13 appearance?
 14 MR. GERBER:
 15 A. I think most pilots, Commissioner, will remind
 16 you they look good in anything, so it's not
 17 about looks. I hear, I hear, I don't know.
 18 STAMP, Q.C.:
 19 Q. So what is it about, Captain?
 20 MR. GERBER:
 21 A. Very simply, it's a reflection, and we brushed
 22 over the issue earlier this morning, and this
 23 afternoon I heard Mr. Taber talk about the
 24 same thing.
 25 STAMP, Q.C.:

Page 288

1 Q. Yes.
 2 MR. GERBER:
 3 A. But I think I want to put a little bit of
 4 perspective to that. There's a very good
 5 reason why a helicopter has such large
 6 windows. If you look at a fixed wing
 7 aircraft, the windows are very small, they're
 8 going that way and only that way. A
 9 helicopter can go pretty much 360 degrees.
 10 There's even helicopters where the slightest
 11 little piece of metal to build up the frame is
 12 in the way, and so there's a reason, you want
 13 good visibility out, so there's a lot of
 14 glass, and glass has reflection. So it's
 15 reflection from all angles, and a helicopter
 16 pilot uses his peripheral vision quite
 17 literally every time he takes off and lands,
 18 and any kind of movement in the corner of your
 19 eye can mean something, and helicopter flying
 20 by the very nature, even though we fly in
 21 cloud a lot here in St. John's, it's a visual
 22 means of flying. I have to see and be seen. I
 23 have to observe outside to hover. So
 24 reflection is a very important aspect. Also
 25 it was mentioned earlier that cockpits have a

Page 289

1 lot of glass in it that's not related to the
 2 window. Every instrument has a glass face or a
 3 flat piece of glass. Now there's a lot of
 4 effort being made to try and make them not
 5 reflective, but that impedes visibility, so
 6 back to our compromise issue that a lot of
 7 things in a helicopter is a compromise, you
 8 know, what is the best way of doing it. When
 9 you add all these pieces of glass together,
 10 there's a lot of reflection in the cockpit. As
 11 well, cockpit is painted mat black inside.
 12 Don't even take a chance with gloss black, you
 13 want mat black because you don't want
 14 reflection. If I have to single out the
 15 single biggest reason why you don't want
 16 anything bright in the cockpit, such as that
 17 suit, that would be it. It will be a
 18 distraction and probably detrimental to safety
 19 at some important aspect of the flight.
 20 STAMP, Q.C.:
 21 Q. Okay, and so as you heard Dr. Coleshaw speak
 22 about this, and, of course, as you say, the
 23 darker suit, the blue suit is in your mind
 24 certainly preferable for cockpit operations,
 25 but does it give you a concern then on the

Page 290

1 other side of things for issues of visibility
 2 in the water?
 3 MR. GERBER:
 4 A. Yes, it does, it doesn't help that cause.
 5 STAMP, Q.C.:
 6 Q. And is it addressed in some way? Are you
 7 satisfied?
 8 MR. GERBER:
 9 A. I'm satisfied it's addressed, and there's four
 10 things that we do. The first one might take a
 11 little bit understanding. From the very
 12 moment we decide to buy a 529 compliant S-92
 13 helicopter, there's my first reason. All the
 14 programs we've put in place, whether it be
 15 HUMS, two control system, simulated training,
 16 all of that tries to guarantee that I never go
 17 in the water. That's the first step, we don't
 18 want to go in the water, but if I do go into
 19 the water, then there's three things more.
 20 First of all, the life vest. If we're going
 21 to pull the life vest and blow it up, it has
 22 reflective properties and we use reflective
 23 tape on the suit, and I also carry a personal
 24 locator beacon. So to me, the way we address
 25 the part of the flight that we deal with most,

Page 291

1 which is in the cockpit looking at the
 2 instruments, and by the small chance, although
 3 very real, but small that we end up in the
 4 water, those are the things we use to address
 5 that issue with. So I feel confident that it
 6 is addressed.
 7 STAMP, Q.C.:
 8 Q. So in your mind, it's a trade-off then to do
 9 that?
 10 MR. GERBER:
 11 A. Yes, I think so, yeah.
 12 STAMP, Q.C.:
 13 Q. The second point that was raised by Dr.
 14 Coleshaw was this issue of the suit's thermal
 15 protection, and as she put it, I believe, the
 16 very same issue was in play for passengers and
 17 crew, that is the issue of cold water
 18 immersion. Now on that point, is it your
 19 understanding that flight crew suits, in
 20 particular the suit that you and others at
 21 Cougar wear, has a lower thermal protection
 22 than, say, the passenger suit?
 23 MR. GERBER:
 24 A. Yes, I'm aware of that.
 25 STAMP, Q.C.:

Page 292

1 Q. And is there any sort of measure, first of
 2 all, do you know, sort of what properties it
 3 has in terms of thermal protection?
 4 MR. GERBER:
 5 A. Yes, our suit was selected, and just for
 6 reference, we first became aware of this suit,
 7 the Viking suit that we wear, in Norway, and
 8 we saw our colleagues in Bergin, Norway, wear
 9 the suit and that's how we, as part of the
 10 selection process, ended up with the suit, but
 11 I understand it's got a - I suppose, what they
 12 say, a six hour hypothermic rating to it, six
 13 hours.
 14 STAMP, Q.C.:
 15 Q. And so the issue of having a lower thermal
 16 value or lower thermal properties perhaps than
 17 does the passenger suit. Are there reasons
 18 that, in my mind, justify that as well?
 19 MR. GERBER:
 20 A. Yes, there are two reasons. First of all,
 21 it's mobility, and the second is also what we
 22 heard today is alertness. The mobility issue,
 23 again like many things in the helicopter which
 24 is a compromise, they put switches and levers
 25 everywhere. I literally have to twist around,

Page 293

1 reach up switches, I have to turn my head, be
 2 able to reach. The first thing is they almost
 3 insist not to put a proper door on a
 4 helicopter, to work out way into the cockpit
 5 is difficult, and when we get there, there are
 6 switches from my side, overhead, slightly to
 7 my back. So I have to be able to manoeuvre.
 8 Can I do it in that suit? Some of the things
 9 that may seem trivial as well, for instance,
 10 if you take a look at that suit, just the
 11 simple fact of the HUEBA system they use, that
 12 doesn't work in a cockpit, we don't want the
 13 hose and the antenna, we don't want that loose
 14 in the cockpit because they can trip a switch
 15 when we don't look and they can hook up on
 16 things. So we need to be careful about
 17 mobility, and that is the place where we work
 18 and we need to be free to manoeuvre in there.
 19 STAMP, Q.C.:
 20 Q. And you mentioned the second issue was the one
 21 of alertness. How does that come into play?
 22 MR. GERBER:
 23 A. Alertness is directly related to the thermal
 24 issue, how warm I get in the cockpit. Well,
 25 the ground has been covered. If the

Page 294

1 temperature goes up and it stays up, our
 2 alertness seems to go down, and that's what
 3 we're trying to avoid. So back to the
 4 compromise of the big glass windows; well,
 5 it's a greenhouse, and I think that even
 6 though it's sometimes very overcast in St.
 7 John's, we tend to get above the cloud
 8 sometimes, not every day, but we're certainly
 9 exposed to it. In fact, back to our dark suit
 10 issue, even now - and that's a bit of a
 11 negative because it holds a little bit more
 12 temperature, but again that's a compromise as
 13 well, I need to be able to see the
 14 instruments. We try and strike that balance.
 15 So if our suit is that warm, I don't think
 16 we'll be able to function when we have to.
 17 STAMP, Q.C.:
 18 Q. Now, Captain, one of the issues that came up
 19 earlier, maybe it was yesterday, I guess, was
 20 some indication of the number of - the
 21 frequency of flights that passengers might
 22 take. For the most people on average, I
 23 thought it was something like six to nine
 24 flights annually.
 25 MR. GERBER:

Page 295

1 A. Yeah.
 2 STAMP, Q.C.:
 3 Q. And that was the greatest proportion of people
 4 who travel offshore as passengers. How does
 5 that compare for flight crew?
 6 MR. GERBER:
 7 A. Pilots can fly two flights a day, sometimes
 8 one, sometimes they're on call so they don't
 9 fly at all, but on average, I'm going to say a
 10 pilot probably flies between eight and ten
 11 flights a week, and if you do the math
 12 quickly, it's certainly in the region of 200
 13 flights a year. To me, that's a significant
 14 amount of time more than a passenger. So what
 15 works for the passenger, we shouldn't compare
 16 that to what a pilot needs to go through.
 17 STAMP, Q.C.:
 18 Q. And are you indicating that there are
 19 occasions when a flight crew leaves St.
 20 John's, fly to the installations, fly back to
 21 St. John's, fly back to the installations and
 22 fly back to St. John's again?
 23 MR. GERBER:
 24 A. Four legs easily.
 25 STAMP, Q.C.:

Page 296

1 Q. And you have the suit on the whole of that
 2 time, of course.
 3 MR. GERBER:
 4 A. Correct, yes.
 5 STAMP, Q.C.:
 6 Q. So the heat build up is a feature for you to
 7 be -
 8 MR. GERBER:
 9 A. That is correct and as the day wears on, it
 10 just gets worse and worse and even between
 11 flights, the way we do the schedule, there is
 12 no time to take the suit off and take a
 13 breather, I mean, you certainly allow yourself
 14 a break and a bathroom break and replan the
 15 next flight, but the suit is difficulty
 16 getting in and out to and I know a lot of
 17 people prefer just to unzip the zipper, get a
 18 bit of fresh air and then carry on in the next
 19 flight. So it's a completely different
 20 scenario than a passenger.
 21 STAMP, Q.C.:
 22 Q. So the issue then of the visibility in the
 23 water is really, there's a similar issue with
 24 respect to the, sort of from the protection in
 25 the water, it's better to have the warmer suit

Page 297

1 and the brighter suit, but you spend a lot of
 2 time in the cockpit and it's better the other
 3 way in those circumstances?
 4 MR. GERBER:
 5 A. Yes, that's correct, I mean our primary task
 6 is to fly the aircraft and for that we need to
 7 be alert and not heat fatigued and work to
 8 stay out of the water and stay in the cockpit,
 9 that's, you know -
 10 STAMP, Q.C.:
 11 Q. And is it your view then that the compromise
 12 that would occur with the heat build up in a
 13 heavier suit would be a feature that it would
 14 be a concern to you as a pilot?
 15 MR. GERBER:
 16 A. Yes, it would.
 17 STAMP, Q.C.:
 18 Q. Just one last question and it's not really on
 19 this point but something I think Mr. Taber did
 20 mention was the issue of the suit selection,
 21 suit sizing for flight crew. I think he
 22 mentioned that it's sort of an off the rack
 23 thing for most flight crews, series of I think
 24 maybe five sizes he mentioned and the flight
 25 crew would fit into those five sizes.

Page 298

1 MR. GERBER:
 2 A. Yes.
 3 STAMP, Q.C.:
 4 Q. Is that the case with Cougar?
 5 MR. GERBER:
 6 A. My understanding of the Viking suit there is
 7 eleven sizes available and I know that the
 8 first thing when we hire a new pilot, he gets
 9 a sheet and email to go and get measured
 10 because every suit is custom, adjusted for
 11 each flight crew member.
 12 STAMP, Q.C.:
 13 Q. Mr. Commissioner, that's all I have along
 14 these issues, if other people might want to
 15 have -
 16 COMMISSIONER:
 17 Q. Thank you, Mr. Stamp. Now, Ms. O'Brien,
 18 anything that you'd like to ask Mr. Gerber?
 19 MS. O'BRIEN:
 20 Q. I do have a couple of questions.
 21 COMMISSIONER:
 22 Q. Yes, all right, thank you.
 23 MR. JAKOBUS JOHANNES GERBER, EXAMINATION BY MS. KATE
 24 O'BRIEN
 25 MS. O'BRIEN:

Page 299

1 Q. Thank you Captain Gerber, some of that
 2 information you did give me off line, shall we
 3 say -
 4 MR. GERBER:
 5 A. Yes.
 6 MS. O'BRIEN:
 7 Q. But I think it was very helpful and you gave
 8 me more just then, particularly with respect
 9 to the colour of the suits. With respect to
 10 the thermal protection, I know that Mr. Taber
 11 in his report has actual ranges of Clo or
 12 thermal ratings that are recommended for
 13 flight crew suits.
 14 MR. GERBER:
 15 A. Yes.
 16 MS. O'BRIEN:
 17 Q. And I'll get a chance to question her a bit on
 18 that tomorrow, do you have any idea what the
 19 suit that you're wearing at Cougar and with
 20 the various triple layer protection, what the
 21 Clo rating is?
 22 MR. GERBER:
 23 A. No, I don't.
 24 MS. O'BRIEN:
 25 Q. Do you know if Cougar has that information?

Page 300

1 MR. GERBER:
 2 A. No, I don't know that we have that
 3 information.
 4 MS. O'BRIEN:
 5 Q. Okay, you said just then--I had asked when
 6 Cougar was giving evidence here before this
 7 Commission if they could provide us with the
 8 specifications on their suits and they did
 9 provide some information. It didn't have a
 10 Clo rating which is consistent with what
 11 you're saying, but you just then said your
 12 suit was rated for a six-hour rating.
 13 MR. GERBER:
 14 A. Yeah.
 15 MS. O'BRIEN:
 16 Q. Do you know what that--I mean, that wasn't
 17 provided in the information I got from Cougar,
 18 so do you know what--can you give us a little
 19 more on what six-hour rating means?
 20 MR. GERBER:
 21 A. I'm not a hundred percent sure. It's a
 22 question I just asked a person who researched
 23 the suit before and that's the response I got.
 24 To me, I would like to answer the question a
 25 little bit differently though. We talked

Page 301

1 about the three layers, we all know about the
 2 waterproof and the flame proof layer and so
 3 on, the thermal, it's very difficult when
 4 you're going to work in that environment to
 5 tell somebody you will wear that layer or you
 6 don't work here. Our ability to work in a
 7 certain thermal load on us differs from person
 8 to person, just as somebody, even though they
 9 train all their life, they can't run a
 10 marathon even if they wanted to and another
 11 person can. I think our ability to work by
 12 ignoring the temperature that we feel differs
 13 from person to person and therefore, it's
 14 something that we try and stay away from and
 15 say, you know, you need to wear a thermal
 16 layer that is appropriate for you. And that's
 17 quite a wide scope to leave to somebody, but I
 18 run the risk of when I tell somebody that is
 19 the thermal protection you are going to wear
 20 and he suffers a heat issue, we will be back
 21 in this room discussing that. And so even
 22 though it seems like I leave a lot up to the
 23 individual or the company does, to us, it's an
 24 appropriate response and we feel that
 25 regardless of the Clo rating or what the

Page 302

1 thermal protection is, we still believe we're
 2 going to spend the bulk of our time in a
 3 cockpit working, so understand the risk, go do
 4 your immersion training, expose yourself to
 5 that, know what the risk is, understand what
 6 can happen. Now get dressed for work, what
 7 are you going to do? So personal
 8 accountability does come into it and we will
 9 provide all the guidance we can, but
 10 ultimately I feel that a pilot needs to know
 11 in what kind of heat load he can function and
 12 that's why for us it's, yeah, it's an
 13 interesting subject but I don't know if
 14 there's one specific solution to it.
 15 MS. O'BRIEN:
 16 Q. Wouldn't you think in the studying that's been
 17 done to come up with a standard for flight
 18 crews that gives a range of appropriate Clo
 19 levels, don't you think that the research
 20 would have taken into account the different
 21 personal tolerances people have.
 22 MR. GERBER:
 23 A. Yes, I think it will, yeah.
 24 MS. O'BRIEN:
 25 Q. So wouldn't you think that when you have a

Page 303

1 range when a standard, you know, albeit a
 2 European standard because we don't have a
 3 Canadian one -
 4 MR. GERBER:
 5 A. No, we don't.
 6 MS. O'BRIEN:
 7 Q. - is giving an appropriate range, wouldn't
 8 you, as a pilot, take some comfort in knowing
 9 that you're wearing a suit within the
 10 recommended range?
 11 MR. GERBER:
 12 A. Yes, I would.
 13 MS. O'BRIEN:
 14 Q. Wouldn't you want to know what that range was?
 15 MR. GERBER:
 16 A. Yeah, I would, yeah.
 17 MS. O'BRIEN:
 18 Q. To make that decision. And to make that
 19 decision wouldn't you have to know what the
 20 Clo rating of the equipment that you've been
 21 provided is?
 22 MR. GERBER:
 23 A. And to make the comparison, yes, but we don't
 24 have that information now.
 25 MS. O'BRIEN:

Page 304

1 Q. But isn't that information that someone could
 2 get, it's not that difficult -
 3 MR. GERBER:
 4 A. Oh, I'm sure that we can get it, I still come
 5 back to the issue that it doesn't really
 6 matter what the Clo rating is, I'll dress as
 7 warm as I can so that I can still function my
 8 two flights back and forth to the rig, that
 9 would be the guiding -
 10 MS. O'BRIEN:
 11 Q. I think you're asking your pilots to take into
 12 personal accountability and take
 13 responsibility for their own decisions, but
 14 for them to do that, what I'm saying is they
 15 need to have some basic information -
 16 MR. GERBER:
 17 A. That is correct, yeah.
 18 MS. O'BRIEN:
 19 Q. - to be able to do that and I'm suggesting
 20 that one of the pieces, critical pieces of
 21 basic information that they need is some
 22 testing done on the suits that they're wearing
 23 so they know what Clo value it is.
 24 MR. GERBER:
 25 A. Yes, yeah.

Page 305

1 MS. O'BRIEN:
 2 Q. Okay, all right, so that, you know, if Cougar
 3 has any further information on their suits to
 4 provide, I certainly--I really would be happy
 5 to see it and certainly if any further
 6 research is done on your suit and you come up
 7 with a Clo rating, I'd be happy to know that
 8 too.
 9 MR. GERBER:
 10 A. Okay, very good.
 11 MS. O'BRIEN:
 12 Q. Thank you.
 13 COMMISSIONER:
 14 Q. And Mr. Gerber, if you do come up with any
 15 information like that regarding the Clo
 16 rating, would you be good enough to provide it
 17 to the Commission -
 18 MR. GERBER:
 19 A. Yes, I will
 20 COMMISSIONER:
 21 Q. And we can provide it then to everybody.
 22 MR. GERBER:
 23 A. Yes.
 24 ROIL, Q.C.:
 25 Q. Commissioner, if I could prevail upon us for

Page 306

1 one moment, we have fifteen minutes left. I
 2 think as I understand from what I've heard
 3 that it's only Ms. O'Brien that has questions
 4 and that the C-NLOPB have none, I would hate
 5 to bring Michael Tabor back tomorrow morning
 6 for fifteen minutes, but if Ms. O'Brien is
 7 going to be longer than that, then clearly we
 8 have to, so I'm putting her a little bit on
 9 the spot.
 10 COMMISSIONER:
 11 Q. I suppose we could go over a little while.
 12 ROIL, Q.C.:
 13 Q. Yeah, I'm just thinking in terms of
 14 (unintelligible) Ontario.
 15 COMMISSIONER:
 16 Q. What do you think, Ms. O'Brien?
 17 MS. O'BRIEN:
 18 Q. I don't think I'll be that long with Mr.
 19 Gerber.
 20 COMMISSIONER:
 21 Q. All right then.
 22 ROIL, Q.C.:
 23 Q. Thank you very much for that, I think Mr.
 24 Gerber appreciates it because he does have
 25 prior commitments tomorrow that he would like

Page 307

1 to get to, if he could, but he understands
 2 that his first responsibility is to be here.
 3 MR. MICHAEL TABER, EXAMINATION BY MS. KATE O'BRIEN
 4 MS. O'BRIEN:
 5 Q. Thank you, Mr. Taber, if you could just give
 6 me a moment here because I'm switching gears.
 7 Mr. Taber, I might start with some follow up
 8 questions to the questions I just asked the
 9 Captain from Cougar, I'm looking at your
 10 report at page 41 of your report if it's
 11 helpful for you to go there. So at that
 12 section you're referencing some work by Mr.
 13 Chris--or Dr. Chris Brooks whose name we've
 14 heard a few times today and it says "in a
 15 review of cold water survival needs, Brooks
 16 indicates that while offshore passengers
 17 should wear a certain thermal range of suit,
 18 air crew should be thermally protected from a
 19 suit ranging from .25 to .75 Clo and refer to
 20 it as group one. This recognition of
 21 integrated hazards, the hot environment in a
 22 cockpit and the cold water, is important to
 23 ensure that the effective heat stress does not
 24 compromise flight safety." So, you know, I
 25 just made an assumption then when I was

Page 308

1 questioning Captain Gerber that that sort of
 2 research would have taken into account
 3 personal tolerances for heat in coming up with
 4 a range from .25 to .75 Clo, and I'm wondering
 5 am I correct in that assumption? Can you give
 6 us a little more insight into--when Dr. Brooks
 7 was coming up with that range what was going,
 8 what other inputs were going into that result?
 9 MR. TABER:
 10 A. Okay, I wasn't privy to the study that was
 11 conducted, but I know just from the other
 12 research that's conducted in this area that
 13 it's typically not taken into consideration,
 14 personal differences. Typically it would be
 15 volunteers that would be recruited from--and
 16 in particular he was looking at air crew in
 17 the military and extrapolating that to an
 18 offshore setting or any air crew really he was
 19 looking at. So that's not normally taken into
 20 consideration, it's just the volunteers that
 21 are willing to step forward and say I'm
 22 willing to take part in the study. So there
 23 wouldn't be an assessment of flight plan,
 24 there's no thermal loading testing done ahead
 25 of time for that. Now we assume that if we

Page 309

1 get a large enough sample size that that will
 2 accommodate for all different levels and when
 3 we average out those differences, there will
 4 be accommodating for all ends of that
 5 spectrum.
 6 MS. O'BRIEN:
 7 Q. Wouldn't you want to have a sample group--in
 8 order for the research to be robust enough and
 9 the results to stand up, wouldn't you want to
 10 have a sample group that was large enough to
 11 take into account those variations?
 12 MR. TABER:
 13 A. That's what I just said, yes.
 14 MS. O'BRIEN:
 15 Q. So that would kind of be inherent in the
 16 results, even though it's not something
 17 specifically studied, it would be inherent in
 18 your results.
 19 MR. TABER:
 20 A. That's right, yes.
 21 MS. O'BRIEN:
 22 Q. In coming up with the range, are you aware of
 23 what other factors are being considered to
 24 come up instead of just one number, like they
 25 had done for the passengers, the range of

Page 310

1 numbers that they have come up with for the
 2 flight crew.
 3 MR. TABER:
 4 A. Right, and Dr. Brooks would have addressed
 5 this pneumatical value based on research that
 6 was done with performance, air crew
 7 performance, so there's been a number of
 8 studies that have been done through the
 9 Department of National Defence, as well as the
 10 US Military looking at decision making and
 11 performance in hot environments and those
 12 would have ranged in the thermal levels, and
 13 from that, he said, okay, well we know that if
 14 we dress them in .25, this is what their
 15 cognitive performance is; if we dress them in
 16 .75, over a period of time we ask them to
 17 perform a particular skillset that's related
 18 directly to their flight operations, then we
 19 start to notice decrements that are occurring
 20 at that higher end. So we would say
 21 reasonably it's--we would argue that .25 to
 22 .75 Clo would be within a range of acceptable
 23 performance.
 24 MS. O'BRIEN:
 25 Q. Okay. The point that I was just making that

Page 311

1 in order for pilots to make an informed
 2 decision about, you know, what they're wearing
 3 in their cockpit, that it would be important
 4 for them both to know what the research is
 5 showing an acceptable range is as well as
 6 knowing what the thermal value of the outfit
 7 that they're currently wearing is. Would you
 8 agree with that?
 9 MR. TABER:
 10 A. I think so and during their training that's
 11 discussed. In their program they talk about
 12 the thermal protective properties of insulated
 13 underwear, constant wet suits, benefits of
 14 those, some of the events that have occurred
 15 in the past where pilots are not wearing
 16 thermal protective equipment, although it's
 17 included in the aircraft, and their ability to
 18 survive lengthy periods of time. So I'm
 19 referring to the Canadian Coast Guard ditching
 20 that occurred in 2006 or 2007, I'm not sure,
 21 in Newfoundland where the pilot and passenger
 22 both had cause to wear immersion suits, they
 23 weren't wearing them, they were wearing life
 24 jackets, but they perished after the ditching
 25 waiting for a rescue.

Page 312

1 MS. O'BRIEN:
 2 Q. Okay.
 3 MR. TABER:
 4 A. So part of their training is a discussion
 5 about the properties and the benefits of
 6 wearing thermal protective equipment.
 7 MS. O'BRIEN:
 8 Q. In that kind of a case, is it common that
 9 pilots are really given the information, given
 10 the equipment and then left to make their own
 11 decisions on what to wear, is that common to
 12 have it that way?
 13 MR. TABER:
 14 A. I think that that's more common, yes.
 15 MS. O'BRIEN:
 16 Q. Okay. At page 43 of your report, you say and
 17 I'm looking at the very top of page 43, "As
 18 there is no standard requirement outlined by
 19 Transport Canada, CAA or FAA regarding
 20 clothing to be worn under the constant wear of
 21 suits for air crew, a guideline of thermal
 22 comfort zone with respect to protection in
 23 both hot and cold conditions should be
 24 developed." What do you mean, this is a
 25 recommendation you're making here, can you

Page 313

1 tell us a bit more about that recommendation,
 2 what you mean?
 3 MR. TABER:
 4 A. Thermal comfort zone is related to basically
 5 what Captain Gerber was talking about is that
 6 there is a range in which we can operate and
 7 if we think about thermal regulation for
 8 humans, there is this sort of spot where we're
 9 quite comfortable at, if we sort of get above
 10 that, then we don't perform as well, if we get
 11 below that, we don't perform very well. So
 12 this range of thermal comfort is a zone in
 13 which, based on the requirements that we need
 14 to perform, if there are studies that are done
 15 to identify well what Clo value is actually
 16 best for those particular tasks that you are
 17 asked to do, then that guideline would be most
 18 beneficial to any air crew that's out there
 19 working right now, and currently it doesn't
 20 exist, there's been work done by Michel
 21 Ducharme of DRDC and I'm trying to remember
 22 what the acronym stands for, but the Defence
 23 Civil Research Centre, I believe that's
 24 correct, but he's done work looking at thermal
 25 comfort zones for air crew, as have

Page 314

1 researchers that are in the UK looking at this
 2 range that's important for performance. And I
 3 think that it's important that we have that as
 4 well in a Canadian context to try and look at,
 5 not just military crew, but civilian air crew
 6 and try to identify--because Dr. Ducharme's
 7 work was related to back-end crew members, so
 8 they're part of the air crew, but they don't
 9 work in a cockpit, they're more working in the
 10 back at a hoist position or they'd be a search
 11 and rescue technician working with patients,
 12 things of that nature.
 13 MS. O'BRIEN:
 14 Q. How is that different from the work that was
 15 done by Dr. Brooks that you were talking about
 16 where he actually came up with a range of Clo-
 17 - a Clo range for air crew suits.
 18 MR. TABER:
 19 A. It's similar but Dr. Brooks actually was
 20 looking at a review of literature that's been
 21 published previous and said, well this is what
 22 I think is reasonable range that's here, there
 23 wasn't actually a test that was done, a study
 24 that was done specifically to look at the .25,
 25 .75, he was looking at overall--this was a

Page 315

1 report done for Transport Canada to try and
 2 give them a sense of what, what is a
 3 reasonable solution and what sort of cold
 4 value should be afforded for each position
 5 that's in the air craft, say passenger or air
 6 crew. So he basically looked at a review of
 7 the literature, as opposed to conducting a
 8 research study which Dr. Ducharme did as an
 9 extension of some of the work that has been
 10 done before.
 11 MS. O'BRIEN:
 12 Q. Okay, so more work needed there -
 13 MR. TABER:
 14 A. Yes, absolutely.
 15 MS. O'BRIEN:
 16 Q. This is one thing perhaps maybe, I don't think
 17 it's necessarily a conflict in your report,
 18 but it was something that I was, perhaps need
 19 a little help in getting the two pieces of
 20 information to sit together. When I look at
 21 page 41 of your report, which is where you're
 22 discussing the issues of thermal loading and
 23 heat stress on air crew and you say Ducharme
 24 indicates that at ambient temperatures above
 25 18 degrees celsius, air crew dressed in

Page 316

1 thermal protective clothing would likely be
 2 affected by heat stress during flight
 3 operations. And then when I looked a little
 4 later on in your report at page 52, where you
 5 are talking generally, in a more general sense
 6 about clothing, it says that, you're citing
 7 another report here and it says "Furthermore
 8 in an ongoing study of heat stress related to
 9 the performance of HUET skillset", the authors
 10 noted that even after 90 minutes of exposure
 11 to 34 degrees celsius there were no decrements
 12 in task performance, so I know that it's not a
 13 clear black and white contradiction, but the
 14 two pieces of information are kind of tugging
 15 us in different directions, can you sort of
 16 shed more light on it?
 17 MR. TABER:
 18 A. Okay, the Ducharme study is air crew related
 19 and the study that I conducted with colleagues
 20 at Brock is looking at 452 and E452 immersion
 21 suit for passengers and there was some
 22 discussion before the study was done to look
 23 at, well if I fall asleep in the back of the
 24 aircraft based on the thermal loading
 25 properties of that suit, will I be able to

Page 317

1 perform the skills required to egress that
 2 helicopter should an event occur? So what I
 3 did is I took individuals and put them in,
 4 both a thermally neutral environment which was
 5 21 degrees and then put them also in a 34
 6 degrees relative temperature in the suit for
 7 90 minutes and said can they still perform the
 8 skill? I know they can do it at the lower
 9 level, at the 21 degrees, can they still do
 10 that same at 34, and I had people fall asleep
 11 and literally some of them were drooling, they
 12 were still fast asleep and snoring away and as
 13 soon as the alarm was sounded--so I did that
 14 through the same sort of procedure that they
 15 would expect, so the words "ditching,
 16 ditching, ditching, prepare to ditch",
 17 instantly they didn't even skip a beat, they
 18 literally performed all their tasks in the
 19 right sequence with no problems whatsoever in
 20 both conditions and we were just trying to see
 21 if there was this limitation based on a
 22 thermal loading. We noticed that there was an
 23 increase, a significant increase in body core
 24 temperature and significant increase in skin
 25 temperature, but when I say "significant" it

Page 318

1 was statistically significant but not
 2 necessarily practically significant, so the
 3 difference between that is that in a real
 4 environment would .03 of a degree actually
 5 make that much of a difference for you and in
 6 fact it didn't. And there's a number of
 7 research studies that are supporting that
 8 saying yeah, the intensity of the thermal
 9 loading is important, how fast it happens, how
 10 intense it is and what tasks were actually
 11 asked to perform, so we wasn't necessarily
 12 surprised by the results, but we just wanted
 13 to address whether or not there was an issue
 14 with the suits based on my personal experience
 15 of being hot in a suit, I just wanted to have
 16 a look at that research aspect.

17 MS. O'BRIEN:
 18 Q. Okay, I understand, all right, those are all
 19 my questions, thank you very much.

20 COMMISSIONER:
 21 Q. Thank you, Ms. O'Brien. Now, Ms. Crosbie, do
 22 you have any questions.

23 MS. CROSBIE:
 24 Q. No, we have no questions, thank you.

25 COMMISSIONER:

Page 319

1 Q. Okay, thank you. Well Mr. Taber, thank you
 2 very much for coming here and giving your
 3 evidence today and so that between Dr.
 4 Coleshaw, the unexpected evidence of Mr.
 5 Gerber and your evidence from my point of
 6 view, this has been a very valuable day.

7 MR. TABER:
 8 A. Thank you.

9 COMMISSIONER:
 10 Q. Thank you. Okay, 9:30 tomorrow morning.
 11 Upon conclusion at 5:00 p.m.

Page 320

1 CERTIFICATE

2 We, the undersigned, do hereby certify that
 3 the foregoing is a true and correct transcript of a
 4 hearing heard on the 29th day of June, 2010 at Tara
 5 Place, 31 Peet Street, Suite 213, St. John's
 6 Newfoundland and Labrador and was transcribed by us
 7 to the best of our ability by means of a sound
 8 apparatus.

9 Dated at St. John's, NL this
 10 29th day of June, 2010

11 Cindy Sooley
 12 Discoveries Unlimited Inc.
 13 Judy Moss
 14 Discoveries Unlimited Inc.

<p>-#-</p> <p>#12 [2] 204:6,14 #3 [2] 204:6,16</p> <hr/> <p>-?-</p> <p>'90s [1] 165:13</p> <hr/> <p>-.-</p> <p>.03 [1] 318:4 .25 [5] 307:19 308:4 310:14,21 314:24 .75 [11] 206:10 212:25 213:7 242:2 275:9,10 307:19 308:4 310:16,22 314:25</p> <hr/> <p>-0-</p> <p>00222 [1] 92:18 00223 [1] 92:20 00224 [1] 93:21 00225 [1] 93:23</p> <hr/> <p>-1-</p> <p>1 [3] 131:13 152:11 275:24 10 [7] 40:18 47:17 82:25 88:25 158:17 186:12 195:14 10,000 [2] 151:17 274:11 100 [7] 184:8 189:18 238:24,25 253:10,15 257:23 105 [2] 239:3,9 11 [5] 4:6 6:12 78:22 88:25 211:20 110 [3] 239:3,9,17 12 [10] 88:8,9 153:8 167:6 167:16,24 178:7 187:7 211:20 231:20 120 [6] 154:10,13 239:10 239:12,17 241:13 13 [3] 68:15 131:14 132:14 130 [4] 239:13,14,19 241:14 137 [1] 273:16 138N [1] 95:10 14 [1] 149:15 15 [11] 17:16 82:25 90:16 90:18 91:1,3,7 104:24 186:12 195:14 254:6 150 [10] 17:22,25 19:14 24:25 90:15,25 91:7 221:17 273:4 274:22 150-degree [1] 19:25 156 [1] 273:6 16 [1] 104:20 160 [1] 24:25 173N [1] 95:10 175 [2] 95:21 273:7</p>	<p>175N [2] 94:18 96:4 18 [2] 252:2 315:25 180 [5] 4:17,22 15:15 17:24 18:1 180-degree [1] 19:22 19 [7] 116:3,13,18 125:23 129:10,18 270:8 1980s [1] 7:23 1984 [1] 8:12 1992 [1] 8:22 1994 [1] 30:9 1995 [1] 8:17 1996 [1] 26:25 1997 [1] 14:16 1:00 [2] 146:5,6</p> <hr/> <p>-2-</p> <p>2 [3] 182:19 196:4 275:25 20 [17] 20:21 40:19 82:25 171:10 186:12 195:14 244:23,25 257:13,20 259:11,15 261:2,4,5,16 261:23 200 [1] 295:12 2000 [4] 9:9 30:7 34:1 69:8 2001 [8] 23:4,6,7 30:19 68:17,22,24 69:3 2002 [1] 68:24 2003 [4] 68:14 69:17 70:1 70:9 2005 [2] 161:22 187:22 2006 [5] 71:4 103:19 127:8 153:15 311:20 2007 [2] 152:11 311:20 2008 [2] 23:19 31:19 2010 [6] 1:1 126:22 127:7 252:24 320:4,10 2011 [1] 37:4 21 [4] 178:7 187:7 317:5 317:9 2121 [1] 268:12 213 [1] 320:5 214 [1] 6:25 215 [1] 148:10 216 [1] 148:11 217 [1] 148:12 22 [2] 100:19,20 25N [1] 94:18 260/270 [1] 95:25 28 [5] 200:11 269:6,17,19 270:17 29 [6] 1:1 21:14 200:11 269:23,25 270:2 29th [2] 320:4,10</p> <hr/> <p>-3-</p> <p>3 [2] 154:25 201:18 30 [8] 46:10 154:10 163:18 225:8,13 244:23 244:25 262:2</p>	<p>30th [1] 71:4 31 [1] 320:5 32 [1] 163:10 34 [3] 316:11 317:5,10 360 [1] 288:9 3:30 [1] 247:17</p> <hr/> <p>-4-</p> <p>4-point [1] 259:20 40 [4] 154:10 244:23,24 257:19 41 [2] 307:10 315:21 43 [2] 312:16,17 45 [1] 214:17 452 [8] 89:14 96:23,23 279:8 280:15 281:12,20 316:20 47 [2] 114:8,19 48 [3] 162:3 163:15 169:6</p> <hr/> <p>-5-</p> <p>5 [3] 79:9,17 80:4 50 [6] 162:6,7 163:7,7,8 163:12 50-60 [1] 261:20 511 [1] 166:6 52 [2] 167:22 316:4 529 [1] 290:12 5:00 [1] 319:11</p> <hr/> <p>-6-</p> <p>6 [4] 79:9 80:3,7 231:20 60 [5] 161:7,11,14 230:6 230:6 64 [1] 163:13</p> <hr/> <p>-7-</p> <p>70 [2] 154:10 272:3</p> <hr/> <p>-8-</p> <p>8 [1] 68:10 80s [2] 228:12 237:25 85 [10] 162:15,17,24 163:2 165:1 168:15 169:7 252:21 253:6,8 89 [1] 21:12</p> <hr/> <p>-9-</p> <p>9 [2] 114:8,19 9.5 [1] 20:18 9.98 [1] 90:19 90 [3] 21:23 316:10 317:7 900,000 [2] 161:10,17 90s [6] 45:12,12 72:18 117:2 228:12 238:1 98 [1] 273:16 99 [2] 120:22 197:20 9:30 [2] 283:14 319:10</p>	<p>-A-</p> <p>Aberdeen [1] 83:5 ability [18] 4:4 40:1 48:15 54:8,18 94:25 171:23 174:13 180:1 186:23 190:4 216:19 218:11 273:12 301:6,11 311:17 320:7 able [86] 9:14 24:23 25:8 25:15 31:14 40:13,25 41:18 55:4 58:3 61:5 74:25 104:14 108:4 120:4 124:14 126:3 143:13,14 149:3 154:1,4,18 156:14 157:19,22 158:2 159:17 166:15,16 167:23 168:19 168:20 170:10 186:25 189:18 191:6 193:25 195:16,18,20 196:14,15 199:7,14 204:24 205:6,7 206:9 210:2 212:4 216:20 217:12 218:3,4 219:4 221:21 223:24 225:21 226:9 227:5 230:2 235:3 235:12 236:5 238:1,5 239:12 241:17 242:2,4 250:14 252:5,6,10 256:18 258:22 262:11 269:9 271:20 293:2,7 294:13 294:16 304:19 316:25 above [13] 14:19 15:18 17:2 20:1 22:15 86:18 163:7 192:11 228:4 274:22 294:7 313:9 315:24 absence [1] 71:25 absolute [1] 75:24 absolutely [31] 81:25 139:12 146:21 152:24 160:24 170:17,17 173:4 173:4 180:22 196:4 202:24 203:8 207:23 209:9 211:19 213:11 223:20 225:16 227:21 228:1 245:14 253:21 259:3 262:17 267:13 272:25 279:20 281:15,16 315:14 absorb [3] 109:6 260:22 261:10 absorbed [1] 240:10 absorbs [1] 258:24 academic [6] 102:24 124:4 152:7,10 234:1 258:7 acceptable [4] 103:2 218:12 310:22 311:5 accepted [1] 35:24 accepting [1] 281:7 accident [16] 8:20 113:1 113:3,4,23 118:25,25 228:14 240:5,6,14 256:10 256:11,13 257:3 260:15 accidents [6] 27:9 40:17 40:17 60:23,24 256:6 accommodate [5] 186:10 231:24 233:12</p>	<p>240:8 309:2 accommodating [1] 309:4 accordingly [1] 107:7 accordion [1] 93:9 account [7] 57:23 162:19 197:20 253:2 302:20 308:2 309:11 accountability [15] 53:16 54:6 61:13 81:16 81:21 140:5 158:24 210:11 213:24 214:10 215:17 237:4 242:25 302:8 304:12 accountable [1] 214:24 achieve [6] 25:13,15 36:19 43:4 73:24 144:13 achieved [1] 253:8 acknowledged [1] 101:4 acronym [2] 50:14 313:22 act [2] 47:10 60:12 action [5] 42:23,24 60:21 61:3 222:13 actions [6] 40:2 41:19 41:23 42:1 75:3 234:10 activate [1] 264:15 activated [1] 266:12 activities [2] 73:18 74:14 activity [2] 13:11,13 acts [1] 135:21 actual [19] 2:7 16:14,19 23:25 44:21 48:21 70:25 75:1 92:9 134:12 136:12 154:7 170:14 184:7 186:8 222:14 272:19 284:10 299:11 acuity [1] 168:18 add [12] 198:12 199:9 201:22 206:20 208:2,15 221:4 224:10 269:23 278:10 281:24 289:9 added [6] 13:25 17:6 18:13 30:7 135:10 267:25 adding [14] 17:8 67:10 76:6 207:2 222:3 267:18 275:1,2,6,15 276:13,24 278:1,3 additional [20] 9:3,6 14:18,22 17:6 25:10 27:11,15 36:19 56:15 105:2 107:15 158:9,15 170:24 181:11 206:7 230:1 275:6,15 address [11] 125:19 144:6,9 189:13 196:8 206:13 234:8 242:12 290:24 291:4 318:13 addressed [15] 121:22 131:19 132:15,22 133:7 136:6,8 145:16 182:25 230:21 236:20 290:6,9 291:6 310:4 addressing [2] 221:2 230:7 adds [4] 87:25 276:18</p>
---	--	--	---	--

<p>279:18 281:3 adequately [1] 145:16 adjust [2] 176:4 208:21 adjusted [2] 229:5 298:10 adjustments [1] 208:21 administrative [1] 284:16 admit [3] 104:23 108:6 148:14 adopt [2] 70:3 127:19 adoption [1] 126:24 adrenaline [1] 39:25 advantage [2] 78:20 106:23 advertisements [1] 74:10 advisable [1] 276:20 advisory [1] 37:7 affairs [1] 69:17 affect [9] 84:21 87:2 180:13 194:23,24 206:15 208:11 213:2 243:17 affected [3] 244:10,12 316:2 affects [1] 203:15 affirmation [2] 148:4,6 AFFIRMED [2] 148:7 283:18 afforded [1] 315:4 afloat [6] 6:17 7:19 8:25 9:19,23 32:20 afresh [1] 36:3 Africa [1] 77:2 afternoon [9] 100:9 111:20,22 136:24 149:6 255:23 268:11 284:4 287:23 again [54] 6:11 8:22 9:15 10:2 12:9,10 13:21 16:2 24:21 25:3,17 28:8 31:16 31:17 32:18 34:2 43:22 46:13 47:9 49:21 50:1 52:8 54:1 57:10 58:25 60:9,11 62:21 75:12,24 76:4 78:1 80:17 85:2 94:9 95:14 105:20 107:20 108:18 109:9 122:25 135:21 144:10,25 165:4 176:4 195:25 225:25 229:24 264:3 282:9 292:23 294:12 295:22 against [2] 97:22 266:11 agency [4] 23:16 137:19 137:21 138:3 agent [2] 68:5 268:12 ago [3] 76:5 121:17 138:7 agony [1] 108:10 agree [12] 81:19 83:12 93:11 94:10 127:3 136:10 142:11,20 143:5 144:3 273:11 311:8 ahead [5] 215:5 236:21 248:18 283:3 308:24 aided [1] 66:18</p>	<p>aiming [1] 73:24 air [92] 2:3,11,14,20 5:10 15:22 17:3 18:23,25 19:6 19:15 20:1 22:8 25:18 28:8 29:2,11 51:24 65:17 65:22 66:17 67:2,14 69:23,24 70:2 72:10 87:22 89:20,20,24 91:6 91:17,23 93:12,14 94:9 98:12 125:3 131:1 144:7 167:16,22,25 188:5 214:16 215:23 216:3,10 216:12,22 218:22 219:1 219:15 220:2,8,14 221:23 223:14,17 224:11 225:7 225:12 260:25 263:17,19 275:4,14,21 276:3 277:2 277:6,8 279:16,18 281:24 296:18 307:18 308:16,18 310:6 312:21 313:18,25 314:5,8,17 315:5,5,23 315:25 316:18 aircraft [44] 27:22 40:16 59:16 76:25 77:1 80:24 126:14 150:23 152:5 153:12 160:14 168:22 173:14,15 177:14,15 179:13 181:22 182:2 186:13 188:1 191:9,12 191:15 192:13 197:9 198:11 215:2 219:3 222:20 223:25 226:6,7 229:11 232:14,24 249:9 249:18,20 250:6 288:7 297:6 311:17 316:24 aircrew [1] 205:16 airforce [2] 126:13 149:7 airframe [2] 27:11 28:9 airframes [2] 22:24 26:18 airplane [2] 149:8 266:1 airways [1] 119:21 airworthiness [6] 8:11 13:23 27:10 28:24 127:23 129:1 aisle [1] 44:23 aisles [2] 215:6,15 alarm [1] 317:13 albeit [1] 303:1 alert [1] 297:7 alertness [5] 244:10 292:22 293:21,23 294:2 alerts [1] 159:11 alleviates [1] 259:12 allocate [2] 199:16 231:25 allow [13] 2:14,15 10:17 40:23 53:18 69:11 93:8 102:15 105:8 200:13 205:9 239:7 296:13 allowed [2] 107:25 156:22 allowing [2] 25:19 61:24 allows [1] 15:13 alluded [3] 108:21 197:16 211:9 almost [6] 22:14 113:18</p>	<p>133:18 149:17 209:6 293:2 alone [1] 87:25 along [8] 14:25 170:19 183:3 228:8 234:16 242:22 270:6 298:13 Alpha [2] 8:21 83:2 always [17] 35:4,5 59:17 59:25 60:16 82:15 88:14 99:7 120:22 126:2 206:18 208:4 209:7 220:1 222:23 235:11 258:6 ambient [1] 315:24 ambiguity [1] 201:19 ameliorate [1] 227:9 ameliorated [1] 180:5 ameliorating [1] 46:20 amended [1] 200:7 amount [25] 19:15 25:11 84:25 86:1 87:2,7 89:16 91:20,23 93:14 101:23 143:5,24 176:11 212:23 225:17 226:5 257:10 259:13 265:6 266:25 277:8 278:2,4 295:14 Amy [2] 136:22,24 analogy [1] 240:25 analyse [1] 159:17 analysis [5] 151:5 156:16 161:23 193:18 256:19 anchor [1] 11:8 anchors [1] 11:2 anecdotal [4] 66:16 136:14 168:7 187:20 anecdotally [1] 232:13 angle [3] 4:22 17:22 24:25 angles [1] 288:15 animated [1] 254:4 annual [4] 161:11 188:4 188:5 189:7 annually [1] 294:24 anomaly [1] 161:21 anonymous [2] 228:17 228:22 answer [14] 14:5 73:5 80:17 81:6 110:14 130:25 133:11 196:7 213:24 256:22 264:11 278:9 281:2 300:24 answering [1] 281:6 answers [1] 196:6 antenna [4] 264:17,21 265:13 293:13 anthropomorphic [2] 211:21 280:21 anti-lock [3] 239:23,23 240:4 anticipate [1] 107:6 anticipation [1] 103:21 anxieties [1] 102:8 anxiety [15] 39:22,23 47:2 48:2 54:10 100:25 101:15 103:20 153:18,25</p>	<p>154:14 194:16,23,25 198:24 anxious [4] 103:3 154:6 154:15 199:12 anyway [6] 67:9 215:16 248:8 266:12,14 283:5 apart [1] 113:20 apologize [1] 92:6 apparatus [2] 65:15 320:8 apparatuses [1] 65:12 apparent [2] 206:18 232:4 appear [1] 16:13 appearance [1] 287:13 appearing [1] 160:21 application [3] 223:2 224:1 247:12 applications [2] 216:24 218:21 applies [1] 56:16 apply [3] 55:2 122:4 128:11 appreciates [1] 306:24 apprehensive [2] 106:11 109:3 approach [7] 11:16 124:25 158:22 172:25 230:17 235:22 237:2 appropriate [10] 3:11 3:15 37:16,25 103:8 128:10 301:16,24 302:18 303:7 approval [2] 31:7 128:4 approve [1] 285:17 approved [3] 94:18 126:4 129:16 Arctic [1] 150:24 area [33] 10:10 13:17 15:4 22:17,23 26:14 36:17 57:22 73:10,16 82:9,22 83:6,10 84:13 93:10 108:18 111:9 143:1 151:2,4,7 156:21 159:5 193:18 255:25 266:25 268:15,17 272:3,17,20 308:12 areas [8] 10:8 31:13 68:7 74:2 93:11 169:18 205:23 259:9 argue [3] 186:9 187:11 310:21 arguing [1] 281:15 argument [1] 184:5 arise [2] 62:23 139:17 arisen [1] 284:7 arising [3] 64:16,22 139:10 arm [3] 28:18 151:24 175:11 arming [2] 28:14,23 arms [2] 176:2 260:8 arrive [4] 104:10 213:8 244:17 246:4</p>	<p>arrived [2] 104:7 245:1 arrow [2] 192:21,24 art [1] 236:4 AS355 [1] 24:15 aside [1] 224:14 asleep [6] 244:4,7,8 316:23 317:10,12 aspect [14] 9:16 181:16 185:20 198:15 201:6 206:19 219:18,20 220:22 233:23 247:15 288:24 289:19 318:16 aspects [15] 67:6 164:16 168:23 170:9 181:6,9 197:12 203:10 204:21 208:14 216:22 219:6 233:12,14 253:23 Assessing [1] 67:11 assessment [4] 31:4 134:8 136:13 308:23 assignment [1] 157:4 assist [1] 7:19 assistance [1] 167:20 associate [1] 73:1 associated [6] 5:22 86:20 101:16 164:16 259:17 286:19 assume [3] 132:5 278:1 308:25 assumed [1] 123:1 assuming [2] 14:3 65:12 assumption [2] 307:25 308:5 assurance [1] 259:7 asymmetric [1] 25:7 asymmetry [1] 16:8 Atkins [1] 28:8 Atlantic [1] 177:24 attached [2] 181:20 263:22 attempt [1] 208:23 attend [1] 203:4 attendee [1] 203:4 attention [7] 96:17 104:16 139:25 152:9 199:16 204:3 232:1 attenuate [3] 171:7 259:16 261:25 attitude [8] 17:24 19:5 19:19 20:12 21:24 25:3 58:23 59:11 attitudes [2] 82:14,18 auspices [2] 29:2,5 Australia [2] 111:4 147:2 author [1] 68:19 authorities [1] 29:10 authority [12] 4:12 13:14 14:16 23:15 35:2 37:16 68:14 137:11,17 137:22 138:6,20 authors [1] 316:9 automatic [7] 28:14,22</p>
---	---	---	---	--

<p>41:24 184:17 185:4 190:8 264:11 automatically [3] 178:15 239:5 264:7 auxiliary [5] 178:22 179:1,20 180:10 196:24 availability [1] 36:9 available [1] 298:7 average [12] 20:17,21 69:9 89:5 197:21,22 257:12 261:3 274:21 294:22 295:9 309:3 aviation [22] 4:12 14:16 23:15,16 65:5 68:14 116:22 117:9,21 128:13 130:16 137:10,16,19,22 138:6,19 174:10 177:17 228:13 229:20 285:9 avoid [2] 74:13 294:3 avoided [1] 5:6 awake [1] 244:10 awarded [1] 153:16 awards [1] 152:10 aware [29] 13:10,13 26:3 26:6,8,17 34:2 35:20 80:10 107:14 114:14 115:22 118:6 119:1,4 121:1,5,21 138:5,12 141:10,16,18 182:11 210:24 212:18 291:24 292:6 309:22 awareness [1] 47:20 away [18] 61:4 85:4 87:9 168:20 180:24 184:22 214:2 246:16,23 249:1 265:22 267:1 277:10,19 277:23 278:21 301:14 317:12 awhile [1] 174:5</p> <hr/> <p style="text-align: center;">-B-</p> <hr/> <p>back-end [1] 314:7 background [8] 7:25 8:9 149:1,7 151:9,15 224:24 272:19 bad [3] 103:24 104:22 246:14 bag [2] 16:7 18:14 bags [9] 9:5 12:16 14:25 15:5 18:13 25:5,12,15 28:5 balance [6] 30:25 46:24 49:21 103:8 136:1 294:14 balancing [2] 47:10 135:20 ball [1] 14:7 bargaining [2] 68:5 268:12 bars [2] 161:3,5 base [5] 153:2,3 166:19 224:23 267:20 based [32] 50:22 80:12 94:24 110:8 126:14 136:13 153:25 159:1 162:8 164:19 165:23</p>	<p>169:10 173:22 175:25 199:21 213:7 214:11 215:10 216:23,24 231:5 234:2 251:13 252:12 265:3 266:17 278:14 310:5 313:13 316:24 317:21 318:14 basic [8] 52:14 165:10 196:20 203:4 206:12 252:7 304:15,21 basis [7] 31:6 109:9 124:13 135:24 159:9 161:11 219:2 bathroom [1] 296:14 beacon [3] 206:21 264:16 290:24 beat [1] 317:17 beating [2] 216:7 217:16 became [4] 17:17 70:6 149:9 292:6 become [6] 120:5 148:15 206:17 231:4 236:7 249:8 becomes [19] 41:24 55:2 77:8 120:2 172:4 178:15 179:11,15 180:3 185:4 186:14 190:9 198:18 208:4 213:11 214:20 216:7 219:15 234:5 beforehand [2] 237:1 243:16 begging [1] 123:15 beginning [4] 62:18 196:7 199:15 222:2 behalf [1] 14:15 behave [1] 39:18 behaviours [2] 39:20 40:24 behind [3] 96:4 107:22 118:23 Bell [1] 6:25 below [5] 163:6,8 225:8 274:19 313:11 bench [1] 182:1 bene [1] 241:16 beneficial [5] 133:16 170:7 171:14 186:24 313:18 benefit [8] 46:16 59:4 123:24 126:2 145:20 236:22 240:10 278:4 benefits [9] 12:13 31:1 38:16 41:9 49:5 54:18 59:10 311:13 312:5 Bergin [1] 292:8 best [11] 111:13 123:20 133:13 152:12 198:22 199:5 211:12 260:16 289:8 313:16 320:7 better [29] 33:16 39:24 40:25 42:2 49:16 55:8 63:4 78:15,16 102:18 108:14 109:19 144:12 173:23 177:3 190:9 195:25,25 203:17 210:10 227:15 240:21 251:20 279:23 280:6,8,14 296:25</p>	<p>297:2 between [35] 24:25 30:25 40:18 47:10 84:5,7 96:7 128:25 130:10,18 164:21 169:14,20 180:18 189:4 189:23 191:2 195:1 197:6 203:1 205:16 212:16 213:10 216:9 226:23 238:6 245:5 250:11 257:4 258:9 268:21 295:10 296:10 318:3 319:3 beyond [9] 81:5 92:25 142:18 236:14,15 239:1 239:7 241:19 269:20 big [12] 9:11 21:17 40:11 61:19 62:2 67:12 96:20 104:19 107:20 130:9 249:10 294:4 bigger [2] 90:2 97:10 biggest [2] 34:6 289:15 bins [2] 215:4,9 bit [71] 7:24 22:18 23:11 28:13 30:1,5 39:22,24 46:13 57:23 66:12 78:13 94:8 103:2 110:23 112:21 118:1 119:6 121:18 154:5 157:11 158:12 161:13 162:5 169:22 179:11,15 180:24 181:5 183:15 185:16 187:24 201:8 204:18 208:4 210:12,13 215:16 219:24 220:12 228:4,6,7 232:20 235:8 236:4,10,14 237:5 239:6 240:17 241:4 244:6 248:24 249:3,6 256:5 265:6,16 266:18 268:18 284:8 288:3 290:11 294:10,11 296:18 299:17 300:25 306:8 313:1 bizarre [2] 159:10 237:13 black [4] 289:11,12,13 316:13 blade [1] 12:7 blades [1] 12:8 blinker [1] 184:24 block [1] 201:11 blocked [1] 179:1 blocks [1] 76:15 blow [1] 290:21 blue [7] 117:23 161:3 217:10 287:1,7,10 289:23 BMT [3] 11:3 14:15 23:23 board [9] 55:7 70:5 94:18 137:1 161:5 230:3 230:4 266:2 273:5 boarding [1] 49:11 boardings [1] 153:4 boat [1] 155:21 bodies [1] 33:22 body [12] 72:6 85:19,22 86:2 88:14 89:4,12 177:25 193:14 211:23 218:10 317:23 bolted [1] 209:2</p>	<p>boots [5] 223:22,23 224:1 281:19,20 boss [1] 238:11 bother [1] 232:1 bottom [7] 4:18,25 97:23 172:9 197:1,2 201:24 boundaries [11] 237:24 238:2,16,22 241:12,20 241:24 242:13 243:1,7 244:21 boundary [7] 239:2,4 241:3,9,19 242:1,8 brace [4] 176:1 196:20 249:12,22 brakes [3] 239:23,23 240:4 Branch [1] 113:4 brands [2] 6:21 7:9 break [12] 81:11 87:25 146:4,7 162:4 225:24 247:21 254:5,12 260:8 296:14,14 breakfast [1] 243:24 breaking [5] 5:18,19,22 119:20 201:11 breath [10] 9:14 20:10 20:24 21:1 30:18 52:19 69:8 120:1 171:21 185:13 breathable [2] 85:6,11 breathe [2] 9:20 267:6 breather [1] 296:13 breathing [16] 9:10 10:2 30:16 65:4,11,15 68:13 152:14 166:24 167:1,5,6 168:5 171:12 208:15 263:11 brief [2] 79:3 100:19 briefly [2] 50:1 284:4 bright [6] 112:23 118:14 217:6 286:23,25 289:16 brighter [2] 118:5 297:1 bring [17] 12:22 63:19 82:17 114:19 146:12 157:14,16,17 170:14 200:6 204:7 227:5 230:19 234:17 238:3 269:9 306:5 bringing [5] 24:6 33:21 46:8 83:7 111:6 brings [1] 204:6 British [2] 11:17 65:13 broadly [1] 53:18 Brock [3] 149:18 150:13 316:20 broken [2] 146:5 160:4 Brooks [10] 95:17 165:14 273:18,25 307:13,15 308:6 310:4 314:15,19 brought [9] 13:15 72:17 94:14 116:25 148:18 194:9 231:21 239:24 241:16 brushed [1] 287:21 bubbles [2] 1:21 2:3 build [8] 35:23 39:12 53:5 108:2 250:8 288:11</p>	<p>296:6 297:12 building [4] 54:18 76:15 190:18 201:11 bulk [1] 302:2 bulkiness [1] 140:3 bulky [3] 89:3 140:18 279:15 buoyancies [1] 273:15 buoyancy [54] 1:25 2:17 14:23 15:5 17:8 25:14 86:6,11,23 87:3,11,19 87:21 88:1,17 89:7 90:6 91:7 94:17 95:10 96:7 96:10,25 97:5,20 119:16 123:1 134:1 135:8 144:2 144:6 179:11 205:23,24 212:17,23 273:3 274:7 274:24 275:2,7,15 276:13 276:19,21,25 277:2,24 278:2,4,14 279:18 281:4 281:25 buoyant [4] 25:4 97:9 99:10 275:5 business [1] 284:17 busy [2] 221:12 232:3 button [1] 263:2 buy [4] 213:20 214:19 275:11 290:12</p> <hr/> <p style="text-align: center;">-C-</p> <hr/> <p>C [1] 128:2 C-NLOPB [9] 3:8,12 3:24 33:7 132:17,21 133:4 136:21 306:4 C.V [3] 148:11 155:23 156:9 CAA [16] 30:14 31:11 32:10 33:14,23 35:19 37:19 114:21 116:3,13 128:15 173:11 185:25 217:3 257:4 312:19 cab [1] 239:25 cabin [24] 5:10 15:22 17:3,9 18:14,25 19:2,10 20:2,14 21:12,15,23 25:6 25:11,18,20 45:21,24 98:17 118:23 179:3 260:4 260:12 cage [1] 90:22 calculated [1] 86:12 calm [1] 6:13 calories [1] 97:13 camera [1] 262:24 cameras [1] 205:6 campfire [2] 241:2,4 Canada [27] 6:11 29:4,4 51:4 59:17 62:13 71:12 114:11 126:11 136:25 138:12 147:5 165:15 177:24 182:23 186:1 194:13 200:18 224:16 227:2 254:15 269:4 285:1 285:14,16 312:19 315:1 Canadian [22] 88:23 94:17 96:5 114:18 115:6 115:14,15 124:15 150:10</p>
---	--	---	---	---

165:8 176:17 210:20 219:22 227:1,10 253:9 273:5,6 276:19 303:3 311:19 314:4 Canadians [1] 41:15 cannot [3] 33:9 178:24 282:19 Canso [1] 253:11 capabilities [5] 5:15 8:6 162:13 206:4 213:3 capability [16] 6:1,7 8:5 12:24 13:2,4 80:24 125:5 180:14 192:5 194:11 206:23 226:25 235:11 250:13 261:1 capable [5] 6:2 7:9 13:4 154:4 220:4 capacity [3] 94:4 151:15 212:17 CAPP [5] 51:4 62:14 71:8 200:19 254:15 capsize [8] 4:14 11:7,10 15:25 19:25 25:9 52:18 53:8 capsized [2] 6:19 9:25 capsizing [2] 7:9 50:10 captain [12] 284:1,3,8,9 286:10,14 287:19 294:18 299:1 307:9 308:1 313:5 capture [1] 211:17 capturing [1] 212:3 car [7] 74:11 174:4 184:23 190:2 216:6 238:20 257:22 card [3] 59:19 167:11,13 care [1] 238:12 career [1] 102:11 careful [2] 259:6 293:16 cargo [4] 192:16 193:5,8 194:5 carried [2] 31:3 51:2 carries [1] 202:15 Carron [1] 279:3 carry [5] 36:21 41:19 229:21 290:23 296:18 carrying [5] 41:22,25 42:23 75:3 221:17 case [24] 3:25 34:17 36:21 55:5 69:13 80:3 82:15 113:10 119:25 128:3 134:21 156:13 175:21,24 178:19 195:10 204:24 211:5 226:3 249:7 250:17 260:11 298:4 312:8 cases [6] 95:23 178:18 207:13 234:12 249:8 271:24 Catherine's [1] 148:21 caught [6] 63:5 207:5 208:12,13 222:19 266:9 caused [4] 47:2,22 100:25 256:11 causes [1] 84:14 cell [5] 178:23 179:2,20 180:10 196:25	celsius [2] 315:25 316:11 centimetre [1] 43:17 centimetres [1] 43:11 centre [4] 7:16 112:1 264:2 313:23 centres [1] 38:12 CEP [2] 67:19 268:12 certain [24] 28:6 29:23 31:13,18 86:1 93:14 97:3 113:11 122:23 126:4 143:5 145:1 199:7 204:21 206:10 214:6,6 232:25 238:10,10 246:14 259:18 301:7 307:17 certainly [67] 5:8 6:9 12:13 17:5 28:21 33:13 33:17,21,22 34:2 37:18 38:17 39:3 40:16 41:15 42:20 43:25 45:19,23 49:10 50:5 54:8,20 57:21 66:10,15 73:7 74:18 75:2 75:21 82:12,24 83:21 84:24 87:15 93:15 94:12 97:3 98:20 99:4 104:18 107:13,15 108:2 110:18 110:24 115:22 117:17 123:23 129:23 130:13 131:10 133:12 135:12 142:18 143:9,16,18 144:24 241:23 258:13 289:24 294:8 295:12 296:13 305:4,5 CERTIFICATE [1] 320:1 certification [4] 14:3 80:20 232:19 233:8 certified [5] 13:1 167:13 200:19 232:23,25 certify [1] 320:2 CGSB [4] 115:6 205:21 209:16 224:16 challenged [1] 274:7 chance [8] 38:19 42:2 45:21 190:9 225:22 289:12 291:2 299:17 chances [2] 271:22 272:5 change [20] 13:6 61:19 74:19 75:1 79:22 82:14 82:18 83:7 90:17 147:15 148:16 156:22 163:25 172:22 177:1 201:18 202:8 229:3,7,10 changed [6] 78:2 82:25 202:1,24,25 236:25 changes [4] 78:4 169:16 200:5,12 changing [1] 150:20 characteristics [1] 24:1 Charlie [1] 204:25 chart [2] 202:14 256:1 CHC [2] 227:18,24 check [5] 59:17 117:11 122:8,25 123:4 checked [2] 122:18 247:9 checking [2] 57:12 58:12 chest [1] 264:3	chief [3] 282:18 285:22 286:2 choice [1] 102:17 choices [1] 66:7 choose [6] 53:20,24 67:1 102:11,13 142:9 Chris [5] 95:17 165:14 273:18 307:13,13 Christmas [5] 220:25 221:5,6,10 262:8 Cindy [1] 320:11 circle [1] 192:14 circles [2] 198:14 258:7 circumstance [1] 74:15 circumstances [3] 7:10 110:11 297:3 citing [1] 316:6 City [1] 239:25 civil [9] 4:12 14:16 23:14 65:5 68:14 137:10,22 138:6 313:23 civilian [9] 30:24 67:14 151:20 152:4 153:20 165:17 218:21 225:1 314:5 clarification [1] 100:23 clarified [3] 278:23 282:16,17 clarify [3] 1:20 283:16 284:6 Clarity [1] 227:23 clean [1] 201:8 clear [5] 90:10 122:14 203:14 251:10 316:13 cleared [1] 144:5 clearing [1] 141:13 clearly [3] 191:2 258:22 306:7 clerk [1] 147:21 client [1] 234:22 Clifford [1] 26:25 climate [8] 181:5 230:18 231:1,8,11 243:6 245:19 246:10 climb [3] 18:21 215:7,15 climbed [1] 215:14 climbing [1] 215:6 clo [23] 206:10 212:25 213:7 218:16 242:2 275:9 275:10 299:11,21 300:10 301:25 302:18 303:20 304:6,23 305:7,15 307:19 308:4 310:22 313:15 314:16,17 Clo's [1] 90:10 close [17] 8:20 12:8 18:20 25:2 42:25 44:1 96:17 98:7 139:25 184:21 185:3 186:6 187:11 204:13 241:4 264:23 266:20 closed [2] 120:1 263:22 closer [7] 39:3 165:1 168:15 169:7,19 217:6,7 clothes [1] 133:25	clothing [35] 49:3,5 55:10,18 56:3,17,19 57:2 84:20 85:3,3 86:16,20 131:15 132:18 133:6 213:7,25 214:11 219:16 243:14 246:4,9,24 247:10 275:5,11,12,13,24 276:1 276:23 312:20 316:1,6 cloud [2] 288:21 294:7 coached [1] 107:22 coaching [1] 108:3 coast [3] 77:1 176:17 311:19 coat [1] 262:7 cockpit [23] 118:21 135:13,25 176:6 188:19 192:8 194:8 260:3 289:10 289:11,16,24 291:1 293:4 293:12,14,24 297:2,8 302:3 307:22 311:3 314:9 cockpits [4] 118:5 135:19 217:8 288:25 coffee [1] 243:24 cognitive [5] 150:21 217:19,23 225:17 310:15 cognitively [1] 216:19 cold [22] 9:15 32:1 48:7 48:8,12,15,17,20,23 49:1 49:17 55:6 56:6 69:13 131:11 135:11 150:23 291:17 307:15,22 312:23 315:3 colder [1] 48:6 Colshaw [285] 1:4,5,9 1:23 2:9,16 3:3,20 4:9 4:19 5:2,7,24 6:24 7:6 7:12,21 9:22 10:6,21,25 12:2 13:12 14:2,11 15:16 15:21 16:15,21 17:4,15 18:10 19:16 20:6 21:2,6 22:3,25 23:5,10 24:3,8 24:20 25:25 26:5,10,20 27:18 29:7,21 30:4 33:12 34:14,23 35:12 36:14 37:17 38:7 39:2 42:11 42:16 43:14 44:18 45:1 46:7,23 48:11 49:19,24 50:16,21 51:5,12,21 52:1 52:12 53:1,21,25 57:6 58:5,9,18,22 61:17 62:6 64:19,22,25 65:8,20 66:9 66:23 67:4,21,23,24 68:18,23 69:12,20 70:10 70:15,21 71:5,9,15,21 72:3,19,23 73:4,12,22 74:17 75:11,20 76:3,17 77:3,22 78:14 79:16,24 80:16 81:15,24 82:3,20 83:20 84:4,8,23 85:13 86:7,13 87:4,14,18 88:10 88:19 89:23 90:7,13 91:2 91:9,13,19 92:2 93:5,13 94:2,11,21 95:5,11,15 95:22 96:11,14,19 97:1 97:16 98:1,19 99:3,13 99:17,18 100:2,7,10,11 101:1 103:12,18 105:16 106:13 107:3,8,12 109:14 110:17 111:18,20,21 112:3,9,17,24 114:2,13	114:23 115:2,8,19 116:5 116:9,16 117:7,15 118:7 118:12,19 119:3,11 120:11,18 121:4,8,12,23 122:3,22 123:17,22 124:9 125:6,13,25 127:6,11,15 127:20 128:23 129:7,14 130:12 131:8,22 132:4 132:24 133:10 134:6,25 135:9,17 136:15,22 137:12,18,23 138:9,14 138:22 139:1,13,15,20 140:9,22 141:3,15,19,25 142:12,15,21 143:2,8,15 143:21 144:8,23 145:18 145:22 151:1 166:4 179:10 187:14 195:24 198:23 212:1 214:25 216:11 224:7 248:16,17 250:16 273:3 279:16 286:22 289:21 291:14 319:4 Colshaw's [1] 1:18 collaboration [3] 158:21 226:16,23 collaborative [2] 158:21 226:15 collapse [3] 74:13 171:9 171:10 collapsible [2] 258:23 258:24 collapsing [1] 74:11 collarbone [1] 260:9 colleague [1] 161:24 colleagues [10] 56:14 62:9 83:4 162:9 166:6 175:15 187:23 252:8 292:8 316:19 collision [1] 74:11 Colonel [1] 261:17 coloration [1] 217:2 colour [12] 42:9 112:7 112:18 117:6,8 186:7 217:4 220:21 286:20,21 286:22 299:9 coloured [1] 112:15 combination [3] 16:6 153:22 225:7 comfort [10] 83:11,17 84:13 245:11,12 303:8 312:22 313:4,12,25 comfortable [5] 49:15 57:16,20 113:15 313:9 coming [15] 1:21 2:1,3 19:25 29:9 113:18 119:24 121:17 127:4 145:19 282:7 308:3,7 309:22 319:2 commanding [1] 225:5 commenced [1] 68:22 comment [9] 35:19 61:8 61:9 112:6 118:8 127:7 131:25 132:23 286:23 commented [1] 113:6 commenting [1] 102:23 comments [3] 113:16 126:7 264:20
--	--	---	--	--

<p>commercial [1] 150:23 Commission [4] 111:13 122:19 300:7 305:17 commissioned [3] 17:19 30:19 137:10 Commissioner [87] 1:2 1:7,12 3:1,13 32:25 62:12,17,24 63:11,14,20 63:24 64:4,8,11,12,16 64:17,21 67:18 78:23 79:4 81:10 92:6,11,15 92:21 93:24 99:20 100:4 100:14 101:14 111:15 122:20 136:20 139:5,9 139:11 145:10,17,24 146:2,9,16,23 147:1,20 148:13 155:23 156:7 247:18,23 254:10,13,18 254:23,24 255:5,9,12,13 255:18,22 263:1,6 268:5 268:6 282:4 283:12 284:1 285:21 286:1,5 287:15 298:13,16,21 305:13,20 305:25 306:10,15,20 318:20,25 319:9 commitment [2] 231:2 232:10 commitments [1] 306:25 committees [1] 33:19 common [7] 112:18 126:16 223:14 233:11 312:8,11,14 commonly [1] 285:12 communication [2] 234:23 235:9 Communications [1] 68:4 community [1] 228:13 companies [8] 47:7 56:18 60:14 83:8 101:10 103:6,9 110:3 company [7] 11:17 55:21 70:3 102:25 125:21 285:16 301:23 comparative [2] 18:2 19:21 compare [3] 185:2 295:5 295:15 compared [1] 19:24 comparing [2] 18:1 19:12 comparison [2] 280:1 303:23 competency [1] 232:20 competent [1] 78:18 complete [5] 5:9 14:14 15:10,15 31:20 completed [6] 31:12 32:9 149:17 155:7 156:1 167:9 completely [3] 4:22 257:2 296:19 compliance [4] 83:13 83:18 128:5,9 compliant [3] 125:19,22 290:12</p>	<p>component [9] 158:7 171:2 172:19 173:4 207:1 207:7 209:17 251:1,2 components [5] 170:3 171:19 206:20 223:8 265:19 compressed [9] 51:24 65:17,22 66:17 67:2,14 75:4 263:17,19 compromise [7] 289:6 289:7 292:24 294:4,12 297:11 307:24 compromised [1] 103:5 concern [8] 76:8 112:13 145:16 212:19 235:6 287:1 289:25 297:14 concerned [7] 10:19 47:8 63:4 132:7 225:16 263:23,25 concerns [5] 22:16 101:15 219:8 231:14 242:12 conclude [2] 274:4 283:6 concludes [1] 253:25 conclusion [4] 35:15 165:23 247:19 319:11 conclusions [2] 159:1 251:12 condition [1] 214:12 conditioning [1] 46:20 conditions [14] 6:8 84:15 169:1 171:9 180:15 180:16 188:5 239:16,18 242:5,6 256:25 312:23 317:20 conducted [8] 14:15 15:8 166:5 271:25 272:1 308:11,12 316:19 conducting [1] 315:7 confidence [2] 54:7,19 confident [2] 108:8 291:5 configuration [11] 16:5 18:4 25:17 43:13 178:4 178:21 181:18,25 232:24 260:20 262:14 configurations [6] 14:21 15:9,24 180:8 196:11 232:15 confined [1] 175:23 confirm [3] 137:4,9 287:7 conflict [1] 315:17 conform [2] 245:18,22 conscious [1] 119:22 consciousness [1] 120:3 consequences [1] 10:19 consider [21] 6:8 42:15 75:16 164:15 170:8 171:5 172:23 177:22 181:6 197:20 203:10 209:9 216:18 221:25 223:1 238:2 241:10,11 260:1 268:1 279:23 considerable [3] 38:5 278:2,3</p>	<p>considerably [2] 75:10 91:25 consideration [18] 53:14 158:16 163:20 177:4 178:2 181:21 182:5 182:9 193:7 195:3 213:6 214:23 225:12 239:15 240:24 280:18 308:13,20 considerations [3] 163:3 223:13,15 considered [11] 12:23 16:25 27:16 35:16 103:25 162:12 163:22 172:16,18 178:13 309:23 considering [1] 184:2 consistent [1] 300:10 conspic [1] 117:16 conspicuity [1] 117:17 conspicuous [2] 117:11 117:24 constant [2] 311:13 312:20 constrained [1] 67:13 consultant [2] 147:2,7 CONT'D [1] 1:10 contact [5] 98:2,3,5,9 99:6 contained [1] 91:24 contains [1] 91:6 Contents [2] 269:21 270:10 context [7] 2:6 48:2 102:24 161:17 256:19 280:18 314:4 contextual [1] 199:9 contextualize [3] 157:8 158:2 185:17 context [7] 2:6 48:2 102:24 161:17 256:19 280:18 314:4 contextual [1] 199:9 contextualize [3] 157:8 158:2 185:17 continuing [4] 152:16 152:24 167:3 168:3 continually [1] 221:4 continuation [1] 177:11 continue [4] 233:22 235:20 237:6 248:3 continuing [1] 196:4 continuous [1] 61:21 contract [1] 23:19 contracted [2] 141:11 285:3 contradiction [1] 316:13 contribute [1] 102:16 contribution [2] 101:24 111:12 control [9] 27:6 55:16 72:11 150:10 157:19,22 223:24 246:19 290:15 controlled [11] 6:13 8:4 26:22 27:4 29:15 49:12 50:7 55:14 74:13 171:9 270:23 controlling [1] 226:6 controls [3] 176:9 192:9 192:11 conversation [2] 204:1</p>	<p>237:16 conversations [1] 151:2 converting [1] 34:6 convincingly [1] 268:25 cool [1] 225:23 cooling [2] 85:19 86:3 cooperation [1] 33:2 cope [5] 40:14,23,25 55:4 83:23 coped [1] 108:14 copies [2] 92:10 147:19 copilot [2] 219:4 235:4 coping [1] 39:12 copy [1] 200:8 core [2] 218:10 317:23 Cormorant [3] 8:21 192:12 253:11 corner [4] 178:21 191:18 240:9 288:18 correct [37] 40:2 41:23 42:1,23 57:7,12 58:11 58:16 69:5,11 73:21 78:10 91:18 94:20,22 95:14,16,23 114:12,22 138:19 140:10 141:6 152:18 202:21 271:12 274:8 286:6,8 287:10 296:4,9 297:5 304:17 308:5 313:24 320:3 correction [1] 2:25 correctly [3] 22:17 73:16 112:12 cost [1] 13:7 costs [1] 110:5 cotton [5] 246:11,13,14 247:10 277:17 Cougar [25] 63:7,15 118:3 124:19 125:16 126:6 127:5 227:1,10 255:1 256:11 260:20 282:18,18 284:10,23 287:7 291:21 298:4 299:19,25 300:6,17 305:2 307:9 Council [1] 155:5 counsel [12] 63:7,15 64:9 67:19 100:5 118:3 122:19 136:21,25 224:7 254:25 255:10 count [1] 59:20 counter [1] 199:10 counterclockwise [1] 192:14 counterpart [1] 138:8 couple [13] 1:15,15 54:21 136:3,4 137:3 139:9,17 166:25 167:17 176:17 232:13 298:20 course [20] 23:17 52:14 54:3 63:8 73:1 76:2 97:7 107:21 112:7 114:6 120:2 149:12 165:12 245:25 251:22 256:13 265:14 286:17 289:22 296:2 courses [4] 50:22 51:7</p>	<p>54:21 59:5 cover [4] 50:6 52:13 73:24 89:3 coverall [3] 56:2 134:14 134:16 coveralls [1] 55:24 covered [8] 7:25 31:8,9 52:14 74:3 88:20 209:6 293:25 covers [1] 79:20 cowling [4] 14:24 15:3 16:7 25:4 craft [1] 315:5 crash [25] 8:8,14 17:6,10 26:18,23 27:13,23 28:4 28:11 29:14,17 32:28 113:5 137:6 163:22 168:23 171:1 215:11 256:23 258:17 259:1,15 260:20 261:5 crashes [8] 8:7 159:12 162:15,17,23 171:6 249:9 256:20 crashing [1] 160:6 crashworthy [3] 169:23 172:5,19 create [6] 24:24 91:17 92:1 96:20 173:2 246:21 created [1] 21:9 creates [1] 246:10 crew [69] 112:1,8,14 114:12,15 115:18,21 116:14,18 117:1 120:15 121:1 122:2,11 125:3 126:19 130:4,5,9,11 131:21 132:11 133:14,21 138:18,21 215:23 216:3 216:10,12,23 218:22 219:1,15 220:2,8,14 221:23 223:15,17 224:11 260:25 286:20 287:7 291:17,19 295:5,19 297:21,25 298:11 299:13 307:18 308:16,18 310:2 310:6 312:21 313:18,25 314:5,5,7,8,17 315:6,23 315:25 316:18 crews [3] 286:25 297:23 302:18 criteria [4] 31:15 32:7 126:17 178:16 critical [2] 134:5 304:20 Crosbie [13] 136:22,23 136:24 137:15,20 138:4 138:11,16,24 139:3,6 318:21,23 cross [3] 20:14 45:21,24 cross-examination [3] 282:8,23 283:6 crossed [1] 176:2 cuffs [1] 210:8 culture [16] 54:2 61:5,14 61:22 82:4 83:3,7 181:6 230:20,25 231:6 232:8 234:5 238:11 243:5 245:19 curious [1] 270:21</p>
--	---	--	---	--

<p>current [12] 13:11,13 27:21 35:17 52:14 77:23 80:23 124:16 205:3 227:15 231:6 260:19</p> <p>curriculum [2] 106:10 147:10</p> <p>custom [10] 144:21,25 211:2,24 220:6,9,9,11 281:1 298:10</p> <p>customers [1] 285:3</p> <p>cut [5] 21:1 57:18,19 88:22 102:12</p> <p>CV [2] 68:10 152:11</p> <p>Cyclone [1] 189:11</p>	<p>decisions [4] 218:3,4 304:13 312:11</p> <p>declarative [3] 189:16 189:23 190:11</p> <p>decrease [1] 218:12</p> <p>decrements [2] 310:19 316:11</p> <p>Defence [2] 310:9 313:22</p> <p>define [1] 151:1</p> <p>defined [1] 80:5</p> <p>defining [1] 8:3</p> <p>definitely [6] 61:18 83:18 168:14 195:11 214:17 264:18</p> <p>definition [3] 40:7 151:4 151:7</p> <p>degrade [1] 198:17</p> <p>degree [4] 4:22 18:1 259:18 318:4</p> <p>degrees [12] 17:23,25 19:14 24:25 225:9,13 288:9 315:25 316:11 317:5,6,9</p> <p>delay [1] 282:8</p> <p>delegated [1] 138:1</p> <p>delineated [1] 169:2</p> <p>deliver [1] 103:7</p> <p>delivered [1] 71:3</p> <p>demand [1] 101:8</p> <p>demonstrate [2] 93:2 128:5</p> <p>demonstrated [1] 54:9</p> <p>demonstrates [1] 29:8</p> <p>Denmark [1] 187:22</p> <p>denominator [1] 233:11</p> <p>Department [2] 284:14 310:9</p> <p>depend [4] 34:21 110:14 134:13 141:7</p> <p>dependent [5] 5:15 12:4 85:2 134:19 190:6</p> <p>depending [6] 179:12 190:5 191:9 197:22 206:24 238:13</p> <p>deploy [4] 11:11,12 28:18 32:5</p> <p>deployment [3] 28:14 28:23 31:5</p> <p>descent [1] 27:5</p> <p>describe [1] 200:12</p> <p>described [2] 40:4 82:9</p> <p>desert [1] 221:19</p> <p>design [13] 10:16 12:4 23:20 24:10,12 25:7 28:11 35:23 69:24 75:8 121:15 134:13,14</p> <p>designation [3] 156:5 285:23,25</p> <p>designations [1] 102:15</p> <p>designed [10] 98:18 171:5,7 173:17 174:11 208:3,23 242:10 247:13 260:22</p>	<p>designing [1] 209:19</p> <p>designs [4] 23:22 30:22 121:16 126:15</p> <p>desirable [6] 17:1 27:16 108:22 109:8 271:19 279:24</p> <p>desk [1] 279:9</p> <p>detail [4] 159:17 185:16 201:5 222:9</p> <p>determine [2] 88:16 156:5</p> <p>detriment [1] 277:23</p> <p>detrimental [1] 289:18</p> <p>develop [2] 37:13 182:6</p> <p>developed [5] 72:14 126:12 205:3 261:12 312:24</p> <p>development [7] 30:22 32:13 34:12 72:7,10 106:20,25</p> <p>develops [1] 37:13</p> <p>device [12] 19:13 51:25 69:25 72:2,14 206:7 207:12,19 259:12 265:20 265:21 266:12</p> <p>devices [5] 70:11 71:17 72:4,8 176:16</p> <p>DFO [1] 285:14</p> <p>dialogue [4] 226:24 228:6 233:19 234:23</p> <p>dietary [1] 244:13</p> <p>difference [29] 6:22 51:22 52:6 79:7 85:6 86:22 96:20 128:24 130:14 161:25 164:21 166:1,2,8,16 169:15 189:5,23 191:2 197:6 216:9,11 249:10 271:5,8 274:21 276:3 318:3,5</p> <p>differences [18] 51:6 53:9 113:13 166:21 195:1 200:23,25 201:15,17 203:11 211:23 215:23,25 245:5 274:14,18 308:14 309:3</p> <p>different [59] 15:9 27:1 43:15,16 44:3,4 45:24 46:14 51:11 52:3 73:7 74:21 77:8 89:4 97:7 102:11 110:11 128:14 130:4,5,25 131:7 136:5 155:19 163:6 164:16 170:5,6 171:19 177:21 177:25 184:12 186:12,17 187:15 191:14 192:12,13 194:12 207:15 210:9 211:20 219:12 220:12 223:16 224:4,4 229:13 244:9 245:23 259:25 261:14 264:10 269:17 296:19 302:20 309:2 314:14 316:15</p> <p>differently [1] 300:25</p> <p>differ [3] 51:15 301:7 301:12</p> <p>difficult [22] 11:11 21:14 21:16,19 28:4 66:12</p>	<p>80:17 83:22,25 102:13 105:22 136:16 170:10 186:14 187:1 191:17 222:9 260:6 281:25 293:5 301:3 304:2</p> <p>difficulties [2] 46:8 152:2</p> <p>difficulty [10] 21:11 53:5 95:8,20 96:1 104:4 166:14 187:25 258:8 296:15</p> <p>diligent [1] 214:7</p> <p>dimensions [3] 43:11 94:5 142:4</p> <p>direct [1] 62:21</p> <p>directed [1] 100:17</p> <p>direction [4] 97:24 98:23 99:12 259:19</p> <p>directions [1] 316:15</p> <p>directive [3] 128:7,8,9</p> <p>directly [5] 4:1 164:11 281:3 293:23 310:18</p> <p>Director [3] 284:13 285:8,14</p> <p>disadvantages [1] 31:3</p> <p>disappointingly [1] 35:5</p> <p>disbenefits [2] 31:3,18</p> <p>discipline [1] 180:20</p> <p>disciplined [1] 60:22</p> <p>discomfort [1] 83:22</p> <p>disconnect [3] 179:8 193:23 197:2</p> <p>Discoveries [2] 320:12 320:14</p> <p>discrepancies [1] 257:5</p> <p>discuss [1] 48:1</p> <p>discussed [7] 33:19 41:4 81:15 183:14 205:24 210:13 311:11</p> <p>discussing [3] 129:24 301:21 315:22</p> <p>discussion [9] 181:5 209:12 217:1 224:8,10 232:21 286:17 312:4 316:22</p> <p>discussions [2] 209:23 236:9</p> <p>disintegration [1] 174:20</p> <p>disorientation [3] 22:5 40:9,11</p> <p>displayed [2] 204:20 220:24</p> <p>distance [9] 172:1 175:5 175:19 187:17 189:4 197:18,18 210:6 270:9</p> <p>distinction [5] 130:10 153:15 257:4 258:9,19</p> <p>distinctions [1] 152:10</p> <p>distracting [1] 48:18</p> <p>distraction [1] 289:18</p> <p>disturbing [1] 258:14</p> <p>ditch [1] 317:16</p>	<p>ditched [1] 4:3</p> <p>ditching [31] 6:1,13,14 8:2,3 12:24 13:2,4 26:22 29:15 37:5 80:13,24 159:14,25 160:5,5 163:23 169:12 183:9 187:21,23 253:11 256:24 270:23 281:23 311:19,24 317:15 317:16,16</p> <p>ditchings [8] 27:5 157:9 159:12 161:15 165:17 166:7 256:2,19</p> <p>diver [1] 149:9</p> <p>divers [1] 95:19</p> <p>diving [1] 149:10</p> <p>doctor [1] 149:20</p> <p>doctoral [3] 150:5,8,13</p> <p>document [1] 211:1</p> <p>doesn't [30] 9:23 36:1 36:18 45:15 82:16 85:24 88:14 91:16 125:18,19 125:21 131:5 162:18 178:19 181:13 185:9 222:8 227:18 233:8 240:23 246:15 258:18 262:9 263:24 276:2 284:15 290:4 293:12 304:5 313:19</p> <p>domain [1] 66:14</p> <p>dome [1] 185:9</p> <p>dominant [1] 76:24</p> <p>don [1] 86:19</p> <p>done [85] 7:18 8:7 11:17 14:13 17:13 18:5 19:12 26:14,23 32:1 38:11,11 48:12 65:18 66:6,15 72:12 76:8 83:2,5 85:17 88:5,21 101:14 109:6 111:3 124:2 133:18 135:18 141:23 144:4 150:5 151:21 152:3 161:23 162:10 164:19 165:13 168:12 175:14 180:4 185:3 192:1 194:11 195:2 196:16 197:11 198:2,3,21 199:22 201:9 217:19 222:16 228:11 234:1 237:22,25 239:22 251:24 252:13,23 257:21 257:23 261:17 266:19 269:3 272:21 278:12 302:17 304:22 305:6 308:24 309:25 310:6,8 313:14,20,24 314:15,23 314:24 315:1,10 316:22</p> <p>door [8] 190:2,4 192:16 193:5,9 194:5 272:11 293:3</p> <p>double [4] 15:25 16:3 25:9 58:12</p> <p>doubt [2] 78:17 82:13</p> <p>down [52] 12:22 16:7 23:18 27:4,4,22 28:1 35:1 37:2 40:10 43:17 46:8 50:11 57:18,19 60:17 81:1 89:11 98:11 99:14 111:6 142:3 143:13 160:5,6 162:4 168:22</p>
<p>-D-</p>				
<p>D.C [1] 147:3</p> <p>daily [2] 150:20 219:16</p> <p>Dalhousie [4] 161:24 165:16 166:6 252:9</p> <p>damage [2] 27:25 28:6</p> <p>damaged [3] 9:5 17:10 27:24</p> <p>damp [2] 84:20,21</p> <p>damping [1] 12:17</p> <p>dampness [2] 84:14,17</p> <p>danger [1] 98:10</p> <p>dark [5] 40:11 113:8 217:10 287:10 294:9</p> <p>darker [1] 289:23</p> <p>data [7] 21:9 27:3 31:14 161:1 211:21 212:3 280:21</p> <p>dataset [1] 166:7</p> <p>date [3] 70:25 128:18 155:9</p> <p>Dated [1] 320:9</p> <p>day-to-day [3] 135:24 232:3 234:11</p> <p>days [7] 45:4 54:21 107:18 113:18 146:11 230:6,6</p> <p>deal [20] 39:13 44:24 105:15 106:8,10,18 107:6 108:23 116:14 147:17 156:23 186:14 193:20 200:4 210:2 232:2 233:18 236:1 282:24 290:25</p> <p>dealing [5] 96:22 179:12 264:1,5 271:6</p> <p>dealt [6] 100:18 101:17 103:11 108:24 148:17 227:6</p> <p>debate [3] 9:11 41:7 80:20</p> <p>decades [1] 126:13</p> <p>deceased [2] 100:15 111:25</p> <p>decide [3] 19:8 36:21 290:12</p> <p>decided [2] 147:4 229:9</p> <p>decision [8] 58:1 61:23 62:2 258:2 303:18,19 310:10 311:2</p>	<p>decisions [4] 218:3,4 304:13 312:11</p> <p>declarative [3] 189:16 189:23 190:11</p> <p>decrease [1] 218:12</p> <p>decrements [2] 310:19 316:11</p> <p>Defence [2] 310:9 313:22</p> <p>define [1] 151:1</p> <p>defined [1] 80:5</p> <p>defining [1] 8:3</p> <p>definitely [6] 61:18 83:18 168:14 195:11 214:17 264:18</p> <p>definition [3] 40:7 151:4 151:7</p> <p>degrade [1] 198:17</p> <p>degree [4] 4:22 18:1 259:18 318:4</p> <p>degrees [12] 17:23,25 19:14 24:25 225:9,13 288:9 315:25 316:11 317:5,6,9</p> <p>delay [1] 282:8</p> <p>delegated [1] 138:1</p> <p>delineated [1] 169:2</p> <p>deliver [1] 103:7</p> <p>delivered [1] 71:3</p> <p>demand [1] 101:8</p> <p>demonstrate [2] 93:2 128:5</p> <p>demonstrated [1] 54:9</p> <p>demonstrates [1] 29:8</p> <p>Denmark [1] 187:22</p> <p>denominator [1] 233:11</p> <p>Department [2] 284:14 310:9</p> <p>depend [4] 34:21 110:14 134:13 141:7</p> <p>dependent [5] 5:15 12:4 85:2 134:19 190:6</p> <p>depending [6] 179:12 190:5 191:9 197:22 206:24 238:13</p> <p>deploy [4] 11:11,12 28:18 32:5</p> <p>deployment [3] 28:14 28:23 31:5</p> <p>descent [1] 27:5</p> <p>describe [1] 200:12</p> <p>described [2] 40:4 82:9</p> <p>desert [1] 221:19</p> <p>design [13] 10:16 12:4 23:20 24:10,12 25:7 28:11 35:23 69:24 75:8 121:15 134:13,14</p> <p>designation [3] 156:5 285:23,25</p> <p>designations [1] 102:15</p> <p>designed [10] 98:18 171:5,7 173:17 174:11 208:3,23 242:10 247:13 260:22</p>	<p>designing [1] 209:19</p> <p>designs [4] 23:22 30:22 121:16 126:15</p> <p>desirable [6] 17:1 27:16 108:22 109:8 271:19 279:24</p> <p>desk [1] 279:9</p> <p>detail [4] 159:17 185:16 201:5 222:9</p> <p>determine [2] 88:16 156:5</p> <p>detriment [1] 277:23</p> <p>detrimental [1] 289:18</p> <p>develop [2] 37:13 182:6</p> <p>developed [5] 72:14 126:12 205:3 261:12 312:24</p> <p>development [7] 30:22 32:13 34:12 72:7,10 106:20,25</p> <p>develops [1] 37:13</p> <p>device [12] 19:13 51:25 69:25 72:2,14 206:7 207:12,19 259:12 265:20 265:21 266:12</p> <p>devices [5] 70:11 71:17 72:4,8 176:16</p> <p>DFO [1] 285:14</p> <p>dialogue [4] 226:24 228:6 233:19 234:23</p> <p>dietary [1] 244:13</p> <p>difference [29] 6:22 51:22 52:6 79:7 85:6 86:22 96:20 128:24 130:14 161:25 164:21 166:1,2,8,16 169:15 189:5,23 191:2 197:6 216:9,11 249:10 271:5,8 274:21 276:3 318:3,5</p> <p>differences [18] 51:6 53:9 113:13 166:21 195:1 200:23,25 201:15,17 203:11 211:23 215:23,25 245:5 274:14,18 308:14 309:3</p> <p>different [59] 15:9 27:1 43:15,16 44:3,4 45:24 46:14 51:11 52:3 73:7 74:21 77:8 89:4 97:7 102:11 110:11 128:14 130:4,5,25 131:7 136:5 155:19 163:6 164:16 170:5,6 171:19 177:21 177:25 184:12 186:12,17 187:15 191:14 192:12,13 194:12 207:15 210:9 211:20 219:12 220:12 223:16 224:4,4 229:13 244:9 245:23 259:25 261:14 264:10 269:17 296:19 302:20 309:2 314:14 316:15</p> <p>differently [1] 300:25</p> <p>differ [3] 51:15 301:7 301:12</p> <p>difficult [22] 11:11 21:14 21:16,19 28:4 66:12</p>	<p>80:17 83:22,25 102:13 105:22 136:16 170:10 186:14 187:1 191:17 222:9 260:6 281:25 293:5 301:3 304:2</p> <p>difficulties [2] 46:8 152:2</p> <p>difficulty [10] 21:11 53:5 95:8,20 96:1 104:4 166:14 187:25 258:8 296:15</p> <p>diligent [1] 214:7</p> <p>dimensions [3] 43:11 94:5 142:4</p> <p>direct [1] 62:21</p> <p>directed [1] 100:17</p> <p>direction [4] 97:24 98:23 99:12 259:19</p> <p>directions [1] 316:15</p> <p>directive [3] 128:7,8,9</p> <p>directly [5] 4:1 164:11 281:3 293:23 310:18</p> <p>Director [3] 284:13 285:8,14</p> <p>disadvantages [1] 31:3</p> <p>disappointingly [1] 35:5</p> <p>disbenefits [2] 31:3,18</p> <p>discipline [1] 180:20</p> <p>disciplined [1] 60:22</p> <p>discomfort [1] 83:22</p> <p>disconnect [3] 179:8 193:23 197:2</p> <p>Discoveries [2] 320:12 320:14</p> <p>discrepancies [1] 257:5</p> <p>discuss [1] 48:1</p> <p>discussed [7] 33:19 41:4 81:15 183:14 205:24 210:13 311:11</p> <p>discussing [3] 129:24 301:21 315:22</p> <p>discussion [9] 181:5 209:12 217:1 224:8,10 232:21 286:17 312:4 316:22</p> <p>discussions [2] 209:23 236:9</p> <p>disintegration [1] 174:20</p> <p>disorientation [3] 22:5 40:9,11</p> <p>displayed [2] 204:20 220:24</p> <p>distance [9] 172:1 175:5 175:19 187:17 189:4 197:18,18 210:6 270:9</p> <p>distinction [5] 130:10 153:15 257:4 258:9,19</p> <p>distinctions [1] 152:10</p> <p>distracting [1] 48:18</p> <p>distraction [1] 289:18</p> <p>disturbing [1] 258:14</p> <p>ditch [1] 317:16</p>	<p>ditched [1] 4:3</p> <p>ditching [31] 6:1,13,14 8:2,3 12:24 13:2,4 26:22 29:15 37:5 80:13,24 159:14,25 160:5,5 163:23 169:12 183:9 187:21,23 253:11 256:24 270:23 281:23 311:19,24 317:15 317:16,16</p> <p>ditchings [8] 27:5 157:9 159:12 161:15 165:17 166:7 256:2,19</p> <p>diver [1] 149:9</p> <p>divers [1] 95:19</p> <p>diving [1] 149:10</p> <p>doctor [1] 149:20</p> <p>doctoral [3] 150:5,8,13</p> <p>document [1] 211:1</p> <p>doesn't [30] 9:23 36:1 36:18 45:15 82:16 85:24 88:14 91:16 125:18,19 125:21 131:5 162:18 178:19 181:13 185:9 222:8 227:18 233:8 240:23 246:15 258:18 262:9 263:24 276:2 284:15 290:4 293:12 304:5 313:19</p> <p>domain [1] 66:14</p> <p>dome [1] 185:9</p> <p>dominant [1] 76:24</p> <p>don [1] 86:19</p> <p>done [85] 7:18 8:7 11:17 14:13 17:13 18:5 19:12 26:14,23 32:1 38:11,11 48:12 65:18 66:6,15 72:12 76:8 83:2,5 85:17 88:5,21 101:14 109:6 111:3 124:2 133:18 135:18 141:23 144:4 150:5 151:21 152:3 161:23 162:10 164:19 165:13 168:12 175:14 180:4 185:3 192:1 194:11 195:2 196:16 197:11 198:2,3,21 199:22 201:9 217:19 222:16 228:11 234:1 237:22,25 239:22 251:24 252:13,23 257:21 257:23 261:17 266:19 269:3 272:21 278:12 302:17 304:22 305:6 308:24 309:25 310:6,8 313:14,20,24 314:15,23 314:24 315:1,</p>

<p>170:19 171:20 173:17,18 185:12 195:6 201:11 202:13,13 204:14 208:9 221:9 223:4 225:23 234:21 248:19,21,23 249:13,21 250:20 270:7 272:4 283:13 294:2</p> <p>downstairs [1] 60:15</p> <p>Dr [294] 1:4,5,9,17,23 2:9 2:16 3:3,20 4:9,19 5:2,7 5:24 6:24 7:6,12,21 9:22 10:6,21,25 12:2 13:12 14:2,11 15:16,21 16:15 16:21 17:4,15 18:10 19:16 20:6 21:2,6 22:3 22:25 23:5,10 24:3,8,20 25:25 26:5,10,20 27:18 29:7,21 30:4 33:12 34:14 34:23 35:12 36:14 37:17 38:7 39:2 42:11,16 43:14 44:18 45:1 46:7,23 48:11 49:19,24 50:16,21 51:5 51:12,21 52:1,12 53:1 53:21,25 57:6 58:5,9,18 58:22 61:17 62:6 64:19 64:22,25 65:8,20 66:9 66:23 67:4,21,23,24 68:18,23 69:12,20 70:10 70:15,21 71:5,9,15,21 72:3,19,23 73:4,12,22 74:17 75:11,20 76:3,17 77:3,22 78:14 79:16,24 80:16 81:15,24 82:3,20 83:20 84:4,8,23 85:13 86:7,13 87:4,14,18 88:10 88:19 89:23 90:7,13 91:2 91:9,13,19 92:2 93:4,13 94:2,11,21 95:5,11,15 95:22 96:11,14,19 97:1 97:16 98:1,19 99:3,13 99:17,18 100:2,7,10,11 101:1 103:12,18 105:16 106:13 107:3,8,12 109:14 110:17 111:18,20,21 112:3,9,17,24 114:2,13 114:23 115:2,8,19 116:5 116:9,16 117:7,15 118:7 118:12,19 119:3,11 120:11,18 121:4,8,12,23 122:3,22 123:17,22 124:9 125:6,13,25 127:6,11,15 127:20 128:23 129:7,14 130:12 131:8,22 132:4 132:24 133:10 134:6,25 135:9,17 136:15,22 137:12,18,23 138:9,14 138:22 139:1,13,20 140:9 140:22 141:3,15,19,25 142:12,15,21 143:2,8,15 143:21 144:8,23 145:18 145:22 151:1 166:3 179:10 187:14 195:24 198:23 212:1 214:25 216:11 224:7 248:17 250:16 252:8 273:3,18 273:24 279:15 286:22 289:21 291:13 307:13 308:6 310:4 314:6,15,19 315:8 319:3</p> <p>draft [3] 31:11 32:12 202:17</p> <p>draw [4] 152:9 159:1</p>	<p>165:23 204:2</p> <p>drawn [1] 174:21</p> <p>DRDC [1] 313:21</p> <p>dress [3] 304:6 310:14 310:15</p> <p>dressed [2] 302:6 315:25</p> <p>drink [2] 243:15,23</p> <p>drinking [1] 243:24</p> <p>drive [6] 172:14 239:3,9 239:10,13,14</p> <p>driven [6] 72:22 130:15 130:16 216:23 218:20 224:23</p> <p>drivers [2] 240:1 257:22</p> <p>drives [3] 230:25 237:3 259:21</p> <p>driving [4] 238:20,21 239:19 240:8</p> <p>drooling [1] 317:11</p> <p>drop [2] 180:1 240:4</p> <p>drops [1] 179:23</p> <p>drove [1] 239:16</p> <p>drowning [3] 27:8 119:13,15</p> <p>dry [8] 50:7 52:15 55:25 188:5 222:15,17,22 275:19</p> <p>drycleaned [1] 247:2</p> <p>Ducharme [4] 313:21 315:8,23 316:18</p> <p>Ducharme's [1] 314:6</p> <p>due [7] 7:14 31:17 85:9 87:21 103:21,25 124:11</p> <p>during [26] 23:12 38:3 47:13 56:24 84:16 104:16 149:8,15 151:24 152:14 152:25 169:9 171:7 173:23 174:11,17 175:5 175:7 176:20 188:4 216:15 243:4 257:13 265:14 311:10 316:2</p> <hr/> <p style="text-align: center;">-E-</p> <hr/> <p>E452 [6] 94:3 140:2 279:1,4,22 316:20</p> <p>Earle [120] 67:20,21,22 68:2,3,20 69:4,14 70:8 70:12,19 71:2,7,11,18 71:23 72:16,21,25 73:9 73:14 74:5 75:7,14,23 76:13,19 77:16 78:9,21 79:2,6,21 80:8 81:7,14 82:1,6 83:9 84:1,6,12 85:10 86:4,9,24 87:6,16 87:23 88:12 89:13 90:4 90:9,24 91:4,11,15,22 92:5,22 93:3,16 94:1,13 94:23 95:7,13,18 96:3 96:13,21 97:12,18 98:13 98:24 99:8,16,21,22 139:19 212:15 268:7,8 268:10,11 269:5,11,15 269:16,24 270:13,20 271:4,13 272:9,16 273:1 273:10,19,23 274:3,15 274:25 275:17 276:6,12</p>	<p>277:4,11,21 278:6,22 279:7,13,21 280:3,7 281:5,10 282:2,5</p> <p>early [12] 23:22 34:1 45:12,12 48:14 105:3 117:2 165:13 211:1,19 228:12 237:25</p> <p>EASA [14] 29:2,10 32:12 37:3 116:4,12,17,21 121:22 122:24 125:22 126:18 128:16 137:14</p> <p>ease [1] 74:24</p> <p>easier [9] 36:3 44:8 113:6 177:20 204:13 233:14 240:17 243:19 245:15</p> <p>easiest [1] 232:2</p> <p>easily [1] 295:24</p> <p>easy [8] 22:6 43:4 88:7 88:14 102:17 223:20 235:25 256:22</p> <p>eat [2] 225:24 243:15</p> <p>eaten [1] 250:19</p> <p>EBS [27] 30:10,21 32:5 32:19,21 34:17,19 36:7 36:20 51:16,17,20,24 52:21,22 65:3 69:1,6,18 70:4,7 137:6 168:8 169:8 169:11 209:18 222:4</p> <p>EC225 [3] 7:2 24:15,22</p> <p>economic [1] 238:6</p> <p>edge [2] 83:12 222:20</p> <p>educate [1] 59:8</p> <p>educated [1] 58:10</p> <p>education [1] 151:10</p> <p>effect [18] 36:11 40:1 48:13 74:14 84:17 85:5 85:25 86:2 93:10 129:20 152:13 216:5,17 220:25 221:5,6 236:12 262:9</p> <p>effective [3] 11:13 136:14 307:23</p> <p>effectively [3] 12:16 15:17 20:23</p> <p>effectiveness [1] 12:4</p> <p>effects [3] 48:15 49:17 118:22</p> <p>effort [1] 289:4</p> <p>efforts [1] 212:18</p> <p>egress [16] 153:8 167:21 179:3 180:14 182:3 188:12 189:8,17 196:10 196:16 202:10 206:23 208:12 213:3 282:1 317:1</p> <p>egressed [1] 188:23</p> <p>egresses [1] 202:17</p> <p>eight [6] 92:24 171:11,22 179:23 180:1 295:10</p> <p>either [16] 29:12 56:20 69:23 72:5 99:14 104:1 116:1 122:16 123:7 126:11 133:8 156:1 172:3 173:14 177:15 249:6</p> <p>elaborated [1] 256:4</p> <p>elastication [1] 143:17</p> <p>elbow [1] 193:15</p>	<p>element [3] 135:10 152:15 221:16</p> <p>elemental [1] 76:15</p> <p>elements [2] 134:23 177:13</p> <p>eleven [1] 298:7</p> <p>elsewhere [1] 280:17</p> <p>email [1] 298:9</p> <p>emergencies [1] 39:19</p> <p>emergency [50] 9:10 10:1 14:19 30:16 39:16 40:15,25 43:18,22 47:5 55:3 65:3 68:13 76:1 150:8 152:13 166:24 167:1,5,6 168:5 173:13 174:14 177:5,9,15 178:11 178:13,14,15 179:9,16 180:15 184:14,16,18 187:25 188:3,7,16 195:16 197:5 208:15 215:3 218:5 218:24 223:6 235:6 245:10 263:11</p> <p>emergent [2] 234:3,20</p> <p>emphasis [6] 30:11 66:3 189:15,16 190:10,13</p> <p>emphasized [1] 8:23</p> <p>employees [4] 47:9 68:6 234:16 268:13</p> <p>employers [1] 59:7</p> <p>employment [1] 101:25</p> <p>encourage [2] 57:1 61:1</p> <p>end [16] 15:17 72:11 74:10,21 85:19,25 96:9 107:21 108:13 203:15 249:2 257:11,15 283:1 291:3 310:20</p> <p>ended [2] 146:3 292:10</p> <p>ends [1] 309:4</p> <p>Energy [1] 68:4</p> <p>engaged [6] 3:18 33:1 68:16 89:22 152:20 224:8</p> <p>engine [4] 14:23 15:3 16:6 25:4</p> <p>engineer [1] 10:11</p> <p>engineering [1] 192:4</p> <p>England [1] 2:24</p> <p>enhance [4] 5:11 10:2 37:1 60:4</p> <p>enhancement [1] 4:3</p> <p>ensure [17] 3:9 38:1 132:18 133:5,13 140:7 140:10 183:18 197:14 198:7 210:15 211:4 214:9 218:13 252:19 284:23 307:23</p> <p>ensuring [1] 3:19</p> <p>entered [1] 57:21</p> <p>entire [3] 175:18 216:16 233:24</p> <p>entitled [1] 122:11</p> <p>envelop [2] 174:20,22</p> <p>envelope [7] 173:7 174:1 175:4,9,14,16,22</p> <p>envelopes [2] 176:4,22</p>	<p>environment [71] 48:24 49:9,13,15 54:23 55:9 56:6 74:1 155:17,19 162:19,20 170:2,5 171:4 171:11,18,20 174:10 176:3,8 181:1,3,4,7 184:8 186:22,24 187:1 189:6,11 190:5,17,21 191:20 193:10 194:1,19 195:6,7,18 199:1 207:10 213:15 215:13 216:8,9 216:10 218:2,6 222:14 222:15 223:5 238:14,17 243:12 244:5 245:5,6 246:15,17,18 251:18 252:18 253:3 258:1 260:12 301:4 307:21 317:4 318:4</p> <p>environmental [7] 169:1 214:12 239:17 242:5,6 256:25 260:3</p> <p>environments [1] 310:11</p> <p>equal [1] 251:2</p> <p>equation [3] 110:7 250:25 251:3</p> <p>equipment [46] 3:9 13:20 25:23 31:1,8 73:8 104:25 119:9 120:17 121:3 123:9,10 124:5 128:1,4,7 131:15,19 132:18 133:5 153:10 158:19 160:15 169:21 170:2,4 180:11 181:8,19 204:17 209:20 214:19,20 221:3,18 222:19 236:6 251:17 252:19 253:3,12 267:20 303:20 311:16 312:6,10</p> <p>equipment's [1] 235:2</p> <p>equipped [2] 74:8 106:8</p> <p>equivalency [2] 202:8 203:1</p> <p>equivalent [4] 90:15 91:1 137:21 203:5</p> <p>erupt [1] 236:11</p> <p>escape [53] 2:1 4:4 5:11 5:13 9:13 17:20 19:9,23 20:1,12,16,20 21:11,13 21:15,22 25:19 30:17 32:6 35:18 37:1 43:20 43:21 45:23 51:17 52:19 66:18 69:11 73:19 77:12 77:18 78:13,19 90:1 95:24 96:2 151:6,18,23 152:15 155:12 156:16 158:10 165:22 181:16 182:21 187:3 191:21 194:2 205:23 222:15,24 272:20</p> <p>escaped [3] 2:21 6:18 256:14</p> <p>escapes [6] 45:25 54:13 77:19,25 78:2 153:18</p> <p>escaping [8] 2:11 10:3 10:20 18:23 20:11 21:21 21:22 42:3</p> <p>especially [4] 7:11 107:24 108:24 258:14</p>
---	---	---	---	---

<p>essentially [1] 99:1 establish [3] 102:1 141:6 242:3 established [2] 23:15 203:18 estates [1] 111:16 ethos [1] 5:8 ETSA [1] 32:13 ETSO [2] 128:15 129:17 ETSO-2C502 [1] 126:18 ETSO-2C503 [1] 126:19 Europe [4] 35:3 116:2 116:22 127:25 European [16] 23:16 32:13 33:21 117:5,18 127:16 128:8 137:16,19 137:24 138:3,25 139:2 209:15 224:21 303:2 evacuate [1] 89:21 evacuated [1] 98:12 evacuation [5] 50:7 52:15 98:25 151:6 156:16 event [18] 27:22 39:15 40:15 50:9 59:23 113:23 231:13,21 245:10 250:23 251:5 252:25 253:15 257:17 258:11 282:10 283:11 317:2 events [5] 161:5,7,7 164:5 311:14 eversion [1] 151:25 everybody [10] 60:15 61:25 71:16 82:11 92:10 245:21 246:5,12 283:24 305:21 everyday [1] 231:24 everywhere [1] 292:25 evidence [31] 1:14 30:3 34:11 38:16,17 39:17 40:16 46:22 68:11 69:8 79:13 93:6 119:10 129:25 136:14 148:5,14 149:3 156:14 168:8 169:10 187:20 211:7 273:2 282:12,16,17 300:6 319:3 319:4,5 evident [1] 92:12 exact [3] 186:10 187:17 197:17 exactly [21] 43:7,8,11 68:25 76:23 77:15 88:2 103:14 131:11 135:6 151:23 158:3 167:8 186:21 188:2 199:22 223:11 229:15 230:15 262:3 266:4 examination [15] 1:9 64:19 67:21 100:7 111:18 136:22 139:13 148:7 251:22 255:20 268:8 282:24 283:18 298:23 307:3 example [11] 31:11 59:15 181:23 184:19 186:16 191:12 195:24</p>	<p>238:20 241:24,25 245:9 examples [2] 42:5 170:14 exceeds [1] 277:23 except [1] 156:20 excess [11] 89:16 94:8 98:12 151:17 171:10 209:25 221:17 225:10 253:8 257:23 275:24 excessive [3] 143:24 276:24 280:11 excuse [1] 258:15 exercise [3] 49:8,18 52:22 exercises [14] 20:12 46:15 48:8 51:14 52:8 52:13,16,17,18 53:6,6,8 78:6 225:1 exercising [1] 52:25 exerted [1] 90:20 exhaust [1] 266:23 exhibit [6] 92:18,20 93:20,23 148:10 269:9 exhibits [4] 92:12 99:24 147:8 148:10 exist [4] 96:8 192:4 211:22 313:20 existing [5] 14:19 28:15 36:1 124:13 196:10 exists [1] 60:3 exit [64] 19:7 20:16 22:6 22:9 41:18,20 44:2,10 45:17 52:20,22 59:18 76:1 98:9,22 99:1,5,15 152:1 173:13 174:14 177:15 178:2,10,12,13 178:15 179:5,9,17 180:3 182:4 185:7 186:2 187:15 187:25 188:3,7,16,21 192:16 193:5,12,25 194:5 197:5 201:3 203:12 215:3 223:6 249:23,24 250:1 252:7 270:23 271:1,9,17 271:22 272:6,10,14,15 273:13 exiting [1] 274:6 exits [29] 15:18 17:1 18:19,21 42:21 43:5,18 43:22,25 45:13 51:17 52:4,21 59:18,21 74:23 76:7,11 98:7 105:19,19 177:18 179:16 185:24 190:11 194:3 197:15 233:3 249:19 expand [1] 112:20 expect [16] 4:20 39:8 48:6 83:23 104:10 162:24 165:3 199:2 206:8 221:20 223:16,18,24 252:24 257:12 317:15 expected [3] 126:21 161:14 252:20 expecting [1] 187:19 expensive [1] 143:23 experience [46] 39:5 40:23 41:22 45:15 47:4 47:11,18 48:9 49:16 50:3</p>	<p>51:9 55:9 56:5,8 60:4 61:10 65:5 66:4,16 77:13 82:8 88:13 101:23 102:7 106:4,7 109:10 110:9 132:9 149:1 151:9 159:2 174:5 190:7 215:11 219:23 238:14 243:8,11 244:24,25 265:3 266:17 274:10 279:11 318:14 experienced [5] 18:16 40:13 47:8 49:6 241:3 experiences [2] 65:17 65:25 experiencing [1] 48:23 expert [3] 13:22 181:14 282:17 expertise [7] 10:10 82:22 130:8 151:2,4,8 193:19 explain [7] 90:16 175:1 256:18 258:8 282:6,12 282:20 explaining [1] 36:2 explanation [1] 260:16 explore [2] 68:8 255:25 expose [1] 302:4 exposed [4] 39:15 118:21 135:24 294:9 exposure [3] 38:5 150:23 316:10 express [1] 33:5 expressed [1] 53:14 expressing [1] 105:21 expression [2] 174:25 217:24 extend [1] 108:10 extending [1] 36:25 extension [1] 315:9 extensive [4] 72:12 151:21 152:4 155:24 extensively [1] 86:5 extent [4] 30:20 33:2 44:24 85:2 external [1] 265:21 extra [12] 13:7 17:9 104:18 105:23 208:5,10 220:17 235:14,15 274:20 279:16 281:22 extrapolate [2] 184:13 186:23 extrapolating [1] 308:17 extremely [5] 96:16 176:6 178:3 217:15 267:2 eye [1] 288:19 eyeball [1] 240:23 eyebrows [1] 167:17 eyes [1] 184:21</p>	<p>face [6] 119:21 120:7 175:12 176:10 210:3 289:2 facilities [1] 286:11 facility [1] 13:20 facing [5] 110:11 119:24 173:10 259:20,23 fact [51] 2:2 5:16 7:14 11:18 18:19 43:19 76:23 84:20 88:20 89:5 91:16 95:19 116:17 163:21 164:15 165:19 169:8 173:21 177:17 179:22 182:9 185:1 188:17 192:3 193:7 201:16 205:2 208:22 209:11 211:9 216:18 221:2 239:15 240:5,9 241:8 248:17 256:7,8,12 264:13 265:11 266:21 268:25 270:6 275:6,7 276:3 293:11 294:9 318:6 factor [9] 22:11 46:20 46:25 90:19 96:6 228:24 234:8 240:7 258:21 factored [1] 110:6 factors [23] 9:16 17:13 17:20 24:13 30:6 83:19 137:8 151:5,21 155:15 156:15 157:6 158:4 162:13 168:16 169:14 170:25 180:24 251:17 257:2 259:25 260:14 309:23 fail [2] 31:15 273:15 fair [2] 14:7 105:11 fairly [12] 6:13 34:24 35:14 86:5 107:19 120:17 122:23 124:3,10 231:11 235:25 285:15 fall [7] 15:14 43:24 85:22 244:4,7 316:23 317:10 falling [1] 178:16 familiar [6] 26:24 115:23 125:12 134:15 273:16 285:15 familiarity [2] 38:13 75:12 familiarizes [1] 49:8 families [3] 100:5,15 111:25 family [2] 59:22 258:13 far [42] 16:22 41:8 48:20 59:22 70:22 151:25 162:13 168:20 170:21 176:7 181:11 184:22 185:1,21 192:7 193:15 194:16 196:13 206:18 208:25 210:23 215:25 216:8 220:10 221:12 226:23 230:13 232:9,14 232:15 233:20 235:6 242:1 250:15 251:12 263:10,23,25 264:4 265:18 267:20 278:4 fast [4] 34:21 170:18 317:12 318:9 faster [2] 34:22 240:8</p>	<p>fatalities [1] 161:6 fatality [2] 27:7,9 289:2 fatigued [1] 297:7 fear [4] 39:22 61:4 81:23 107:20 fears [1] 105:21 feasibility [2] 19:17 35:18 feature [3] 27:17 296:6 297:13 features [1] 10:16 February [1] 101:12 fed [2] 46:12 59:2 feeling [3] 104:22 110:6 154:20 feels [1] 61:25 feet [3] 92:24 172:2,14 fellow [1] 150:13 felt [18] 11:3,10 18:4,17 22:5 27:11 30:14 31:18 82:16 101:23 104:11 111:4 130:7 229:15 231:9 235:10,11,18 female [1] 220:2 few [16] 2:18 13:16 23:1 46:14 76:5 108:7 145:12 146:3,7 148:19 154:18 236:19 261:14 268:14 284:4 307:14 fibres [1] 277:19 fideliy [20] 41:6 42:6,7 42:15,22 44:8 46:21 47:25 73:16 100:17 108:19 171:4 183:18 185:15 190:16,20 191:13 192:5 195:22 198:15 fifteen [2] 306:1,6 figure [5] 25:1 90:5 248:21,22 249:23 figures [2] 95:16 270:10 fill [1] 21:7 film [1] 2:7 final [8] 12:12 30:5 31:6 37:2 53:13 60:6 72:14 150:6 finally [1] 23:18 financially [1] 101:7 finding [1] 21:18 findings [3] 20:4 21:5 27:8 fine [9] 150:4 170:21 182:15 191:14 224:1 242:21 251:9 285:23,25 finish [2] 238:11 282:11 finished [2] 1:13 149:16 fire [3] 125:5 162:21 246:16 first [53] 2:18 8:1 9:2 11:2 41:5,15 45:3,11 47:2 54:7 55:22 68:8 82:21 100:24 103:22,24 109:4 114:20 116:24 125:1 154:13 155:1 170:17 185:23 188:6,11 198:25 199:3 201:18</p>
---	---	--	--	--

-F-

FAA [12] 29:3,10 33:23 34:1,2 116:23 126:11 162:11 173:12 185:25 257:4 312:19
fabric [2] 85:14 89:16

<p>207:8 216:1 227:1 238:22 239:1,24 244:3,15 248:22 270:14 272:18 284:9 285:6 287:6 290:10,13 290:17,20 292:1,6,20 293:2 298:8 307:2</p> <p>firstly [1] 268:15</p> <p>fit [40] 57:8 58:15 81:17 88:7,15 96:17,23 97:4 140:15,25 144:12,15 158:12,15 201:23 210:7 210:10,16,22 211:2 220:9 220:9,11,19 222:7 235:17 246:2 276:3 278:25 279:15,23 280:6,8,14,24 280:25 281:1,18 283:3 297:25</p> <p>fits [5] 87:12 187:13,14 211:12 249:22</p> <p>fitted [7] 3:9 132:19 133:1,6 213:19 219:14 220:6</p> <p>fitting [14] 3:15,16 139:24 140:1,8 141:22 208:4 209:21,24 210:17 211:24 219:7,17 276:1</p> <p> fittings [4] 141:12 142:16 144:4 158:20</p> <p>five [21] 6:6 13:5 35:1 80:4 157:6,8 158:4,4,7 158:25 173:21 175:20 177:2 189:9 198:9 219:12 237:8 247:20 282:11 297:24,25</p> <p>fixed [4] 59:15 162:16 215:13 288:6</p> <p>flag [2] 126:23 127:18</p> <p>flailing [1] 176:12</p> <p>flame [1] 301:2</p> <p>flap [1] 229:13</p> <p>flare [2] 168:21 173:25</p> <p>flaring [1] 174:12</p> <p>flashing [1] 218:8</p> <p>flat [1] 289:3</p> <p>fleece [1] 241:6</p> <p>flew [2] 226:1 235:9</p> <p>flexibility [2] 46:14 143:6</p> <p>flies [2] 215:1 295:10</p> <p>flight [50] 79:13 84:2,16 112:1,8,14 114:12,15 115:17 120:15 121:1 122:2 125:3 130:4,5,9 130:10 131:21 133:21 138:18 176:9 192:9 216:14 236:13 248:14 284:13,14 285:8,14 286:20,25 287:7 289:19 290:25 291:19 295:5,19 296:15,19 297:21,23,24 298:11 299:13 302:17 307:24 308:23 310:2,18 316:2</p> <p>flights [10] 84:9 161:10 161:18 294:21,24 295:7 295:11,13 296:11 304:8</p> <p>flip [2] 12:9 245:3</p>	<p>flippant [1] 287:12</p> <p>float [4] 10:17 12:13 98:11 166:12</p> <p>floatation [55] 4:13 8:23 8:24 9:3,5,6 11:19 12:17 14:17,18,20,22,25 16:7 17:6,9 18:13,14 20:11 22:23 24:11,24 25:2,5,8 25:10,12,12,15 27:12,16 27:21,21 28:1,5,10,12 28:15,18 30:12,14 32:18 36:9,20 137:7 166:3,9 166:13 206:7 207:12,19 222:25 265:20,21 266:11</p> <p>floating [9] 14:8,9 15:6 17:20 18:18 21:23 22:7 28:16 119:17</p> <p>floats [1] 12:19</p> <p>floor [3] 11:16,21 197:18</p> <p>flops [1] 245:3</p> <p>flown [1] 214:3</p> <p>fluid [1] 14:15</p> <p>fly [33] 27:6 59:16 80:14 81:2,4 141:14 144:5 165:9 186:11,18 188:2 191:9 218:18 225:21,22 225:25 226:7 227:18,18 247:6 248:19 249:6,20 250:12 286:11 288:20 295:7,9,20,20,21,22 297:6</p> <p>flyers [2] 145:3 249:9</p> <p>flying [10] 6:8 42:10 44:4 186:13 216:14 219:3,5 226:3 288:19,22</p> <p>focus [2] 199:17,18</p> <p>focused [3] 26:21 130:1 253:20</p> <p>focuses [1] 8:1</p> <p>focusing [1] 4:10</p> <p>fold [1] 93:11</p> <p>folds [3] 87:8 94:10 142:25</p> <p>follow [4] 126:15 129:21 234:16 307:7</p> <p>followed [3] 8:17 80:22 152:8</p> <p>following [11] 8:20 33:24,24 44:5 69:1 113:1 130:20 151:3 160:21,24 270:21</p> <p>follows [1] 38:24</p> <p>food [1] 243:16</p> <p>footage [1] 2:7</p> <p>force [26] 28:1 90:15,16 90:18,20,23 91:3 110:4 126:21 127:10 152:15,16 152:24 153:2 167:4 168:3 188:25 193:13,24 221:16 257:15 258:22,25 259:19 259:21 261:16</p> <p>forces [10] 28:2 171:7 175:8 257:8,9,13 259:13 259:17 260:22 261:10</p> <p>fore [1] 74:6</p> <p>forefront [1] 231:21</p>	<p>foregoing [1] 320:3</p> <p>foreign [1] 199:3</p> <p>forget [1] 231:22</p> <p>forgot [1] 12:21</p> <p>form [1] 143:17</p> <p>formal [1] 33:3</p> <p>forth [2] 186:19 304:8</p> <p>forward [21] 12:11 23:1 23:12 31:16 35:6 37:10 98:15 146:12 169:17 173:9,9 174:17 178:22 182:25 196:23 199:25 227:6 230:13 259:23,24 308:21</p> <p>forwarded [1] 76:6</p> <p>forwards [1] 33:17</p> <p>found [9] 12:3 21:12,15 80:6 140:18 240:9 254:14 256:15 258:13</p> <p>four [29] 13:2 75:17,19 79:18,20 80:7 110:19,21 163:10 173:20,21 174:18 175:19,20 177:2 179:6 181:25 194:7 198:9 210:5 225:21 226:13 233:22 252:3 262:11 276:10 278:18 290:9 295:24</p> <p>FPSO [2] 68:7 268:14</p> <p>frame [5] 68:21 108:23 189:1 266:9 288:11</p> <p>free [1] 293:18</p> <p>freezing [2] 40:15,21</p> <p>frequency [5] 46:4 77:17 108:20 109:12 294:21</p> <p>frequent [3] 109:9,19 145:3</p> <p>frequently [2] 110:9,13</p> <p>fresh [1] 296:18</p> <p>friend [1] 262:7</p> <p>front [13] 4:25 74:10 92:14,18 93:19 104:24 172:3,12 176:10 182:3 188:18 193:14 204:21</p> <p>fuel [7] 98:16,17 178:23 179:2,20 180:10 196:24</p> <p>full [14] 17:24 18:1 19:22 20:19 50:10 132:20 135:4 135:5 167:10 192:2,8 206:7 226:9 283:23</p> <p>fully [10] 5:1,3 7:20 19:13 86:17 89:21 179:14 208:17 263:21 282:25</p> <p>function [3] 294:16 302:11 304:7</p> <p>functional [6] 151:5 156:15 173:7 179:25 193:17 197:24</p> <p>fundamental [5] 182:24 195:1 196:8 197:7 198:15</p> <p>fundamentally [1] 184:1</p> <p>funding [1] 131:3</p> <p>Furthermore [2] 171:25 316:7</p> <p>future [4] 200:1 212:4</p>	<p>233:20 275:10</p> <hr/> <p style="text-align: center;">-G-</p> <hr/> <p>G [17] 171:7 257:8,9,13 257:15,20 258:21 259:12 259:15 260:22 261:2,4,5 261:10,16,23 262:2</p> <p>G's [2] 257:19,23</p> <p>gained [1] 184:13</p> <p>gap [11] 5:10 15:22 18:24 18:25 19:6 20:1 22:8 23:11 25:18 250:11 275:21</p> <p>garment [1] 125:2</p> <p>gas [3] 150:10 161:9 274:13</p> <p>gather [4] 30:2 150:5 155:2 157:11</p> <p>gathered [1] 159:8</p> <p>gear [4] 229:6,10,12,14</p> <p>gears [1] 307:6</p> <p>general [9] 43:12 60:8 94:17 117:19 128:13 164:4 168:2 273:5 316:5</p> <p>generality [1] 103:11</p> <p>generally [7] 5:23 29:1 124:1 129:24,25 233:16 316:5</p> <p>generate [3] 91:6 193:13 193:24</p> <p>generation [2] 7:5,7</p> <p>generic [2] 23:23 233:15</p> <p>generically [1] 3:15</p> <p>genesis [1] 69:5</p> <p>gentle [1] 160:6</p> <p>gentleman [1] 147:18</p> <p>gentlemen [3] 1:3 156:8 254:14</p> <p>Geoffrey [2] 139:13,15</p> <p>Gerber [64] 255:2 283:15 283:18,22,23 284:1,3,8 284:9,12,21 285:11,24 286:3,7,10,13 287:3,9 287:14,20 288:2 290:3,8 291:10,23 292:4,19 293:22 294:25 295:6,23 296:3,8 297:4,15 298:1 298:5,18,23 299:1,4,14 299:22 300:1,13,20 302:22 303:4,11,15,22 304:3,16,24 305:9,14,18 305:22 306:19,24 308:1 313:5 319:5</p> <p>girth [1] 144:16</p> <p>given [13] 7:9 38:12 57:12 104:9 124:2 130:2 147:22 210:16 242:4 254:5 279:1 312:9,9</p> <p>giving [8] 104:15,17 105:22 107:14 145:20 300:6 303:7 319:2</p> <p>glass [8] 217:7 288:14,14 289:1,2,3,9 294:4</p> <p>gloss [1] 289:12</p> <p>goes [13] 2:10 74:12</p>	<p>77:18 194:16 208:25 212:3,16 225:18 226:24 242:1 264:4 265:19 294:1</p> <p>gone [6] 16:18 28:22 67:8 124:6,24 189:7</p> <p>good [56] 1:3,3,6 39:23 40:6 49:9 52:2 59:11 65:1 67:23 68:1 74:18 88:7 89:11 92:7 96:17 100:9,9,10,12 111:20,22 115:20 136:24 140:15 146:10,10 149:6 164:8 167:14 181:23 184:19 185:20 187:19 195:25 200:4 207:21 211:16 230:2 232:9 234:4 241:1 245:8 246:20 247:24 249:22 255:22 264:18 266:20 268:11 278:23 287:16 288:4,13 305:10 305:16</p> <p>Government [3] 64:13 255:14 256:10</p> <p>GPS [1] 267:22</p> <p>grab [2] 152:1 249:24</p> <p>grabbed [1] 188:15</p> <p>graduate [1] 152:12</p> <p>grandfathering [1] 129:9</p> <p>graph [2] 202:14 256:1</p> <p>graphic [1] 240:21</p> <p>grapple [2] 3:14 33:6</p> <p>gravity [2] 7:16 90:19</p> <p>great [7] 87:8 123:24 211:1 212:5 222:7 246:16 280:14</p> <p>greater [11] 12:7 30:18 34:4 35:25 80:15 87:11 163:12 251:15 278:5 281:13,17</p> <p>greatest [2] 274:20 295:3</p> <p>greatly [1] 175:22</p> <p>green [1] 217:10</p> <p>greenhouse [3] 216:4 216:17 294:5</p> <p>ground [3] 124:7 221:15 293:25</p> <p>group [12] 47:16 56:1,1 56:13 89:12 104:20 152:25 156:4 282:12 307:20 309:7,10</p> <p>groups [4] 104:19 105:4 130:19,25</p> <p>Gs [2] 171:10 261:20</p> <p>guarantee [2] 245:17 290:16</p> <p>guard [3] 172:8 176:17 311:19</p> <p>guess [17] 3:10 100:9 101:16 102:9 140:4 142:7 142:10,25 143:11 144:21 151:14 153:6 210:19 213:17 246:12 269:17 294:19</p> <p>guidance [1] 302:9</p> <p>guideline [3] 210:19</p>
--	---	--	--	---

<p>312:21 313:17 guidelines [5] 3:8 132:17 133:5,13,15 guiding [1] 304:9 guinea [1] 261:19 Gulf [5] 152:25 153:5 186:15 226:3 231:4 guy [1] 245:24</p>	<p>hate [1] 306:4 hazard [2] 5:18 222:17 hazards [2] 264:20 307:21 head [10] 20:18 54:24,25 86:18 119:14,17,18 192:11 260:7 293:1 heading [1] 54:5 heads [3] 5:14 19:3 20:22 hear [7] 77:19 122:21 155:3 258:14 276:14 287:17,17 heard [25] 26:12 44:14 48:4 90:11 93:6 101:11 102:3,4 113:16 175:1 211:7 212:14 232:12 256:8,8 276:7 282:15 286:17,22 287:23 289:21 292:22 306:2 307:14 320:4 hearing [5] 123:9,10 130:24 268:16 320:4 heat [11] 216:3 296:6 297:7,12 301:20 302:11 307:23 308:3 315:23 316:2,8 heavier [4] 66:3 97:6,8 297:13 heavy [2] 24:15 27:15 heels [1] 172:11 height [4] 75:1 107:25 171:25 192:2 heights [1] 6:16 held [2] 33:22 277:16 helicopter [128] 1:25 4:13,21 5:1,3,10,20 6:17 6:23 8:10,18,20,24,25 9:18 10:17 11:9,20,21 11:23 12:5,6,10,18,25 13:1,8,24 14:24 15:1,6 15:25 16:2,8,20 17:3,21 17:22 18:5,18 19:10 20:2 20:11,15 21:12 22:24 23:22,23 24:6,10,12,14 24:15 25:6 26:18 27:20 31:5 32:5 37:5 38:1,4,6 39:9 42:10 44:11,21 45:6 50:9 51:18 52:17 53:15 53:17 55:11,20,23 56:2 57:8 59:12 60:4 66:8 69:9 73:20 79:11 80:12 80:13 81:1 88:18 97:23 97:24 115:11 122:11 126:19 131:16 149:10 152:14 153:3,10,17 155:12 157:9 158:10,22 159:12 162:17 165:17 167:9 181:24 182:20 196:11 206:24 207:2 226:16,21 234:24 244:4 248:13 256:14 273:13 286:15 288:5,9,15,19 289:7 290:13 292:23 293:4 317:2 helicopters [33] 4:3 5:16 5:25 7:13 8:2,15 11:5,18 14:20 16:14 35:24 36:1 43:15,24 44:3,5,7 74:7 77:8 79:14 80:14,21 95:1</p>	<p>95:9 124:20 159:24 166:12 186:18 198:4 272:2,4 284:11 288:10 heliport [12] 213:8 230:4 243:22 244:1,18,22 245:20 246:4,25 247:7 249:17 250:18 heliports [1] 56:22 hell [1] 117:16 Hello [1] 139:15 Helly [7] 63:21,23 139:16 141:11 208:18 211:10 255:6 helmets [1] 131:20 help [20] 32:2 33:5 39:11 39:14 66:6 98:7,20,23 99:7 104:18 105:6 107:15 144:5,9 154:18 212:4 236:22 267:6 290:4 315:19 helped [1] 105:8 helpful [4] 86:10 145:21 299:7 307:11 helps [1] 39:23 hereby [1] 320:2 hey [2] 234:18 235:12 Hibernia [2] 68:6 268:13 HICKMAN [1] 63:10 high [21] 7:15,15 8:8 9:5 10:17 14:24 17:9 27:19 29:17 42:21 44:8 107:19 119:15,19 123:13 124:3 194:6 198:8 229:25 231:2 272:2 higher [13] 11:20 27:25 56:11 80:23 94:19 120:9 123:11 166:19 168:14 169:9 258:23 262:1 310:20 highest [4] 27:8 54:10 198:24 227:11 highly [1] 119:15 highway [1] 238:21 himself [2] 261:19,20 hire [1] 298:8 history [1] 279:1 hit [1] 16:2 hitting [1] 28:3 HMDC [1] 62:19 hoist [1] 314:10 hold [13] 9:14 20:10,24 21:1 30:18 37:4 52:19 69:8 99:1,9 110:5 273:14 274:6 holding [4] 81:18 171:21 185:13 285:18 holds [1] 294:11 holistic [2] 158:5 172:24 hood [8] 2:12 41:17 120:19,21,23 123:3 210:7 222:6 hoods [14] 119:7,8,10 120:5,9,16 121:2,14,15 121:21,25 123:8,14,24 hook [1] 293:15</p>	<p>hope [2] 2:4 182:16 hopefully [2] 2:23 32:14 hoping [2] 37:8 88:25 horizontal [1] 188:9 Hortons [1] 243:25 hose [1] 293:13 hoses [2] 179:2,2 hot [12] 55:18,20 85:18 85:20 225:15,16 241:5 242:7 307:21 310:11 312:23 318:15 hour [7] 84:9,10 146:12 238:24,25 239:3 292:12 hours [7] 6:18 84:5 136:3 136:4 225:21,22 292:13 housekeeping [1] 1:16 hover [1] 288:23 Hovercraft [1] 11:17 HST1 [1] 220:23 HTS-1 [6] 92:14 205:2 205:21 207:8 208:18 280:2 HTS1 [1] 241:25 HUEBA [3] 34:18 263:16 293:11 HUET [18] 2:7 18:9,11 18:12 19:13 38:17 42:8 44:17 54:21 73:11 75:18 182:21 183:16 200:19 202:15 251:22 268:15 316:9 huge [5] 89:16 91:20 161:20,25 280:13 human [32] 9:15 17:13 17:19 22:11 30:5 32:18 86:14 88:14 137:8 151:5 151:21 153:18 155:15 156:15 162:13,18,23 180:19,22,24 181:14 212:20 228:24 251:18 253:1,5,20 256:24 257:7 259:11 261:6,19 humans [5] 162:14 163:2 231:23 246:1 313:8 HUMS [1] 290:15 hundred [2] 168:1 300:21 hung [1] 76:22 HURLEY [2] 64:10 255:11 hurt [1] 104:5 husband [1] 101:21 Husky [1] 63:9 hybrid [2] 69:25 71:17 hybrids [1] 71:14 hydration [2] 244:11,12 hydrostatic [1] 89:21 hypothermia [3] 243:17 244:12 277:14 hypothermic [1] 292:12 hypothesis [1] 240:3</p>	<p>ie [1] 80:14 ice [2] 155:21 239:20 idea [8] 14:8 56:4 67:1 81:15 146:10 221:5 247:24 299:18 ideal [3] 18:18 73:23 77:6 idealistically [1] 109:18 ideally [1] 6:6 identification [1] 236:5 identified [22] 8:13 108:19 115:13 164:11 166:9 169:18 176:14 177:17 179:9 194:6 195:12 205:22 215:24 221:1,14 224:20 228:16 241:23 248:17 251:14 252:4,9 identifies [2] 227:5 243:6 identify [63] 81:18 154:4 154:7,19 159:21 162:5 166:15 168:20,21 169:15 170:1 171:16 176:25 177:9 178:1 184:22 185:10 187:9 189:13 194:10 197:8,12 198:12 198:15 199:24 200:24 201:1,5,16 203:19 209:11 209:17 210:21 213:2 214:10 217:13 218:5 222:10,17 227:8 228:17 230:2 233:7,17 234:24 236:3,19 238:5 241:13 242:11 244:15,22 257:6 257:14,16,25 260:15 262:12 265:2,5 266:20 313:15 314:6 identifying [8] 163:5 179:22 196:9 225:4 232:21 236:10 242:25 250:4 ignoring [1] 301:12 ill [1] 110:6 image [7] 173:19 174:22 175:13 178:5 179:19 193:1 237:14 images [1] 191:16 imagine [3] 167:16 216:5 236:16 immature [1] 82:11 immediate [2] 256:25 257:25 immediately [3] 110:24 239:4 245:3 immensely [1] 121:16 immerse [1] 86:17 immersed [1] 49:7 immersion [19] 50:10 55:11 57:8 114:9 117:1 117:19 120:16 122:12 125:9,10 126:8,20 131:10 225:9 270:24 291:18 302:4 311:22 316:20 impact [33] 8:8 9:6 27:2 27:15 28:17 29:17 32:19 37:6 41:14 74:13 162:14 163:3 171:8,23 172:23</p>
-H-				
<p>half [1] 21:1 hand [12] 60:16,18 76:20 99:5 103:6,7 178:21,25 191:17 245:3 273:14 274:6 handhold [1] 98:18 handholds [3] 98:4,7 99:7 handle [17] 83:25 106:1 173:16 184:22 185:11 188:3,8,12,16 190:3 193:22 222:21 229:7,13 229:14,14 267:16 handrail [3] 60:16,18 81:19 hands [1] 193:16 hang [1] 221:8 hanging [6] 87:9 206:25 208:10 209:4 264:25 265:5 hangs [1] 83:11 Hansen [7] 63:21,23 139:16 141:11 208:18 211:10 255:6 happening [6] 32:15 61:16 124:6 162:1 171:13 236:12 happy [3] 104:25 305:4 305:7 harbour [1] 55:25 hard [7] 144:15 160:5 165:22 172:13 182:6 199:10,14 harder [1] 168:25 harmonized [1] 52:7 harness [28] 19:5 22:13 22:16 41:18,20 43:1,2 74:24 75:5,18,19 173:20 174:2,19 175:20,21 177:2 177:2 179:7,8 193:24 196:21 197:2 222:22 223:6 249:25 259:20 265:23 harnesses [10] 42:25 173:21,22 176:19,22 185:24 186:2 194:7 198:9 198:10 HARP [1] 8:10 Harris [32] 64:18,19,20 64:23 65:2,10,24 66:20 66:25 67:16,19 255:19 255:20,21,23 258:12 259:4 260:18 261:8 262:5 262:19,23 263:13,18 264:6 265:7,24 266:5 267:4,9,14 268:2</p>	<p>hate [1] 306:4 hazard [2] 5:18 222:17 hazards [2] 264:20 307:21 head [10] 20:18 54:24,25 86:18 119:14,17,18 192:11 260:7 293:1 heading [1] 54:5 heads [3] 5:14 19:3 20:22 hear [7] 77:19 122:21 155:3 258:14 276:14 287:17,17 heard [25] 26:12 44:14 48:4 90:11 93:6 101:11 102:3,4 113:16 175:1 211:7 212:14 232:12 256:8,8 276:7 282:15 286:17,22 287:23 289:21 292:22 306:2 307:14 320:4 hearing [5] 123:9,10 130:24 268:16 320:4 heat [11] 216:3 296:6 297:7,12 301:20 302:11 307:23 308:3 315:23 316:2,8 heavier [4] 66:3 97:6,8 297:13 heavy [2] 24:15 27:15 heels [1] 172:11 height [4] 75:1 107:25 171:25 192:2 heights [1] 6:16 held [2] 33:22 277:16 helicopter [128] 1:25 4:13,21 5:1,3,10,20 6:17 6:23 8:10,18,20,24,25 9:18 10:17 11:9,20,21 11:23 12:5,6,10,18,25 13:1,8,24 14:24 15:1,6 15:25 16:2,8,20 17:3,21 17:22 18:5,18 19:10 20:2 20:11,15 21:12 22:24 23:22,23 24:6,10,12,14 24:15 25:6 26:18 27:20 31:5 32:5 37:5 38:1,4,6 39:9 42:10 44:11,21 45:6 50:9 51:18 52:17 53:15 53:17 55:11,20,23 56:2 57:8 59:12 60:4 66:8 69:9 73:20 79:11 80:12 80:13 81:1 88:18 97:23 97:24 115:11 122:11 126:19 131:16 149:10 152:14 153:3,10,17 155:12 157:9 158:10,22 159:12 162:17 165:17 167:9 181:24 182:20 196:11 206:24 207:2 226:16,21 234:24 244:4 248:13 256:14 273:13 286:15 288:5,9,15,19 289:7 290:13 292:23 293:4 317:2 helicopters [33] 4:3 5:16 5:25 7:13 8:2,15 11:5,18 14:20 16:14 35:24 36:1 43:15,24 44:3,5,7 74:7 77:8 79:14 80:14,21 95:1</p>	<p>95:9 124:20 159:24 166:12 186:18 198:4 272:2,4 284:11 288:10 heliport [12] 213:8 230:4 243:22 244:1,18,22 245:20 246:4,25 247:7 249:17 250:18 heliports [1] 56:22 hell [1] 117:16 Hello [1] 139:15 Helly [7] 63:21,23 139:16 141:11 208:18 211:10 255:6 helmets [1] 131:20 help [20] 32:2 33:5 39:11 39:14 66:6 98:7,20,23 99:7 104:18 105:6 107:15 144:5,9 154:18 212:4 236:22 267:6 290:4 315:19 helped [1] 105:8 helpful [4] 86:10 145:21 299:7 307:11 helps [1] 39:23 hereby [1] 320:2 hey [2] 234:18 235:12 Hibernia [2] 68:6 268:13 HICKMAN [1] 63:10 high [21] 7:15,15 8:8 9:5 10:17 14:24 17:9 27:19 29:17 42:21 44:8 107:19 119:15,19 123:13 124:3 194:6 198:8 229:25 231:2 272:2 higher [13] 11:20 27:25 56:11 80:23 94:19 120:9 123:11 166:19 168:14 169:9 258:23 262:1 310:20 highest [4] 27:8 54:10 198:24 227:11 highly [1] 119:15 highway [1] 238:21 himself [2] 261:19,20 hire [1] 298:8 history [1] 279:1 hit [1] 16:2 hitting [1] 28:3 HMDC [1] 62:19 hoist [1] 314:10 hold [13] 9:14 20:10,24 21:1 30:18 37:4 52:19 69:8 99:1,9 110:5 273:14 274:6 holding [4] 81:18 171:21 185:13 285:18 holds [1] 294:11 holistic [2] 158:5 172:24 hood [8] 2:12 41:17 120:19,21,23 123:3 210:7 222:6 hoods [14] 119:7,8,10 120:5,9,16 121:2,14,15 121:21,25 123:8,14,24 hook [1] 293:15</p>	<p>hope [2] 2:4 182:16 hopefully [2] 2:23 32:14 hoping [2] 37:8 88:25 horizontal [1] 188:9 Hortons [1] 243:25 hose [1] 293:13 hoses [2] 179:2,2 hot [12] 55:18,20 85:18 85:20 225:15,16 241:5 242:7 307:21 310:11 312:23 318:15 hour [7] 84:9,10 146:12 238:24,25 239:3 292:12 hours [7] 6:18 84:5 136:3 136:4 225:21,22 292:13 housekeeping [1] 1:16 hover [1] 288:23 Hovercraft [1] 11:17 HST1 [1] 220:23 HTS-1 [6] 92:14 205:2 205:21 207:8 208:18 280:2 HTS1 [1] 241:25 HUEBA [3] 34:18 263:16 293:11 HUET [18] 2:7 18:9,11 18:12 19:13 38:17 42:8 44:17 54:21 73:11 75:18 182:21 183:16 200:19 202:15 251:22 268:15 316:9 huge [5] 89:16 91:20 161:20,25 280:13 human [32] 9:15 17:13 17:19 22:11 30:5 32:18 86:14 88:14 137:8 151:5 151:21 153:18 155:15 156:15 162:13,18,23 180:19,22,24 181:14 212:20 228:24 251:18 253:1,5,20 256:24 257:7 259:11 261:6,19 humans [5] 162:14 163:2 231:23 246:1 313:8 HUMS [1] 290:15 hundred [2] 168:1 300:21 hung [1] 76:22 HURLEY [2] 64:10 255:11 hurt [1] 104:5 husband [1] 101:21 Husky [1] 63:9 hybrid [2] 69:25 71:17 hybrids [1] 71:14 hydration [2] 244:11,12 hydrostatic [1] 89:21 hypothermia [3] 243:17 244:12 277:14 hypothermic [1] 292:12 hypothesis [1] 240:3</p>	<p>ie [1] 80:14 ice [2] 155:21 239:20 idea [8] 14:8 56:4 67:1 81:15 146:10 221:5 247:24 299:18 ideal [3] 18:18 73:23 77:6 idealistically [1] 109:18 ideally [1] 6:6 identification [1] 236:5 identified [22] 8:13 108:19 115:13 164:11 166:9 169:18 176:14 177:17 179:9 194:6 195:12 205:22 215:24 221:1,14 224:20 228:16 241:23 248:17 251:14 252:4,9 identifies [2] 227:5 243:6 identify [63] 81:18 154:4 154:7,19 159:21 162:5 166:15 168:20,21 169:15 170:1 171:16 176:25 177:9 178:1 184:22 185:10 187:9 189:13 194:10 197:8,12 198:12 198:15 199:24 200:24 201:1,5,16 203:19 209:11 209:17 210:21 213:2 214:10 217:13 218:5 222:10,17 227:8 228:17 230:2 233:7,17 234:24 236:3,19 238:5 241:13 242:11 244:15,22 257:6 257:14,16,25 260:15 262:12 265:2,5 266:20 313:15 314:6 identifying [8] 163:5 179:22 196:9 225:4 232:21 236:10 242:25 250:4 ignoring [1] 301:12 ill [1] 110:6 image [7] 173:19 174:22 175:13 178:5 179:19 193:1 237:14 images [1] 191:16 imagine [3] 167:16 216:5 236:16 immature [1] 82:11 immediate [2] 256:25 257:25 immediately [3] 110:24 239:4 245:3 immensely [1] 121:16 immerse [1] 86:17 immersed [1] 49:7 immersion [19] 50:10 55:11 57:8 114:9 117:1 117:19 120:16 122:12 125:9,10 126:8,20 131:10 225:9 270:24 291:18 302:4 311:22 316:20 impact [33] 8:8 9:6 27:2 27:15 28:17 29:17 32:19 37:6 41:14 74:13 162:14 163:3 171:8,2</p>

<p>173:23 174:11,17 175:5 175:8,11 181:17 217:11 257:11,11,14 259:13,16 259:21,24 260:7,10 261:4</p> <p>impacted [1] 217:14</p> <p>impacting [1] 257:9</p> <p>impacts [2] 27:6 29:13</p> <p>impedes [1] 289:5</p> <p>imperial [2] 168:8 169:10</p> <p>implement [2] 34:8 181:18</p> <p>implementation [4] 34:7 67:13 68:13 233:6</p> <p>implemented [1] 72:15</p> <p>implementing [2] 72:1 209:19</p> <p>implications [1] 111:6</p> <p>implied [1] 164:12</p> <p>importance [4] 8:24 36:24 277:12 278:25</p> <p>important [88] 10:12 41:10 42:15,17,18,19 43:8 56:16 75:16 104:12 119:8 120:6,9 123:10,11 139:25 157:7 159:18,21 162:4 166:22 169:2,4 170:1,25 176:7,24 178:3 178:20 181:9,12 182:8 183:24 185:19 187:7 189:12 190:13 198:8,11 199:24 201:6,7 203:8 204:1,2 209:10,18 213:11 216:21 217:15 219:16,18 222:25 223:7 233:7 234:14,17 235:3,20,23 236:16 237:1 240:24 241:9 243:1,4 244:14,17 244:19 246:9,24 247:15 248:11,18 250:5,24 251:3 267:2 271:19 276:14 277:9 288:24 289:19 307:22 311:3 314:2,3 318:9</p> <p>impractical [1] 35:22</p> <p>impression [2] 130:2 279:1</p> <p>improve [13] 2:19 8:14 12:15,24 13:3 27:12 28:4 28:11 38:19 45:14 46:9 111:7 169:16</p> <p>improved [2] 22:19 121:15</p> <p>improvement [3] 8:6 61:21 121:18</p> <p>improvements [1] 62:3</p> <p>improving [4] 11:22 61:15,18,22</p> <p>in-board [1] 44:16</p> <p>inability [1] 9:20</p> <p>Inaction [1] 40:14</p> <p>inappropriate [1] 40:5</p> <p>Inaudible [1] 64:7</p> <p>inboard [1] 98:16</p> <p>Inc [2] 320:12,14</p> <p>inch [2] 77:15 180:13</p>	<p>inches [7] 171:11,22 178:7 179:23 180:1,9 210:5</p> <p>incident [1] 11:10</p> <p>incidents [1] 66:17</p> <p>include [6] 51:16 76:11 105:19 117:5 151:23 213:9</p> <p>included [4] 38:21 52:5 106:21 311:17</p> <p>including [4] 7:10 51:4 270:23 272:11</p> <p>incomplete [1] 156:1</p> <p>incorporate [4] 73:17 243:10,21 245:4</p> <p>incorporated [2] 46:16 205:19</p> <p>increase [9] 52:24 105:24 218:10 258:25 277:1 278:13 317:23,23 317:24</p> <p>increased [3] 78:3 240:6 240:14</p> <p>increases [1] 12:20</p> <p>increasing [1] 96:10</p> <p>incredible [1] 256:16</p> <p>indeed [1] 1:12</p> <p>indicate [7] 68:15 152:12 154:25 165:18 186:1 205:8 273:12</p> <p>indicated [7] 65:6 88:4 94:3 118:4 138:5 162:2 212:1</p> <p>indicates [2] 307:16 315:24</p> <p>indicating [2] 161:6 295:18</p> <p>indication [3] 165:20 178:11 294:20</p> <p>individual [61] 2:10 55:16 57:1,11,25 58:2 74:20 75:25 90:3 92:13 92:14 93:10 94:6 104:22 107:22 140:7,17,20,24 141:7,12,22 142:4,9,16 143:13 144:3,22 165:15 169:8 173:19 175:25 176:8 177:5 178:24 179:24 180:14 181:1 183:1 186:20 195:19 197:25 205:1 210:22,22 219:17 227:4 243:19 253:4 257:1,12,13 258:1 259:14 267:1 274:21 280:17,19 282:1 285:18 301:23</p> <p>individual's [1] 240:11</p> <p>individually [1] 211:10</p> <p>individuals [55] 9:14 54:15 55:7 57:14 59:1 97:3,4,6,7,8,10 105:8 113:1 133:14 134:11 144:14 145:2 151:17 153:9 155:2 164:22,23 165:3,21 167:4,7 168:24 172:10 177:20,22 178:12 182:8 183:16 186:18</p>	<p>190:22 192:1 193:21 200:20 213:5 216:12 219:11,14 220:7 224:23 226:23 252:5,6,14 253:9 253:13 256:14 258:4 274:14,19 317:3</p> <p>indoctrination [1] 243:5</p> <p>industry [34] 28:22 29:5 29:6,23 33:8,8 46:10 72:22,24 75:16 82:10 83:1 101:10,22 102:14 102:16 105:20 109:22,23 110:12 126:16 128:13 130:14,15,18,21 142:19 177:17 216:23 217:4 224:23 234:2,12 261:15</p> <p>ineffective [1] 35:23</p> <p>inertia [2] 174:3,4</p> <p>influence [11] 74:22,24 85:18 165:24 168:9 169:4 169:5,13 170:3 206:23 251:16</p> <p>influences [2] 164:15,18</p> <p>inform [1] 66:7</p> <p>information [31] 38:25 39:8 58:3 62:7 63:3 72:6 104:9 159:20 184:13 185:22 198:22 202:2 211:17 218:1 252:1,15 269:1 299:2,25 300:3,9 300:17 303:24 304:1,15 304:21 305:3,15 312:9 315:20 316:14</p> <p>informed [2] 283:1 311:1</p> <p>ingesting [1] 119:22</p> <p>inherent [5] 14:23 16:6 134:17 309:15,17</p> <p>inherently [1] 7:13</p> <p>initial [7] 18:15 198:16 198:23 202:17 252:13 257:10 268:21</p> <p>initiative [3] 72:24 230:4 232:22</p> <p>initiatives [5] 60:10 158:23 226:17 233:6,20</p> <p>injured [1] 45:8</p> <p>injuries [3] 45:11 257:24 260:10</p> <p>innovative [1] 109:2</p> <p>input [1] 181:12</p> <p>inputs [1] 308:8</p> <p>inquiring [1] 100:22</p> <p>Inquiry [8] 48:4 74:7 96:16 124:21,22 129:24 149:4 256:12</p> <p>ins [1] 27:6</p> <p>inside [13] 1:25 42:8,9 45:10,22 93:8 167:7 181:22 207:1 249:18 275:18 277:2 289:11</p> <p>insight [1] 308:6</p> <p>insist [1] 293:3</p> <p>install [2] 207:12 212:25</p> <p>installation [3] 8:21</p>	<p>171:1 172:19</p> <p>installations [3] 6:9 295:20,21</p> <p>installed [3] 166:20,20 222:20</p> <p>instance [4] 78:11 88:3 89:14 293:9</p> <p>instantly [1] 317:17</p> <p>instead [3] 17:24 225:20 309:24</p> <p>instigated [2] 4:11 72:9</p> <p>instill [1] 234:11</p> <p>Institute [8] 102:3,5 103:1 105:13 200:22 201:10 202:11,15</p> <p>institutes [1] 106:15</p> <p>institution [1] 202:9</p> <p>instruction [1] 107:16</p> <p>instructors [8] 105:14 106:7 107:2,4 153:24 154:3,19,21</p> <p>instrument [1] 289:2</p> <p>instrumental [2] 83:6 192:9</p> <p>instrumentation [1] 217:8</p> <p>instruments [2] 291:2 294:14</p> <p>insufficient [1] 69:10</p> <p>insulated [3] 218:17 223:22 311:12</p> <p>insulating [1] 275:23</p> <p>insulation [15] 55:13 56:11,13,15 85:1,15 134:17,20 135:23 213:1 213:4,5 214:4 275:8 278:14</p> <p>intake [1] 244:13</p> <p>integrate [6] 181:8 198:22 207:9 222:2 245:25 251:19</p> <p>integrated [14] 122:8,9 122:25 206:8 207:14,16 207:19 208:3,17,19 263:12,22 265:8 307:21</p> <p>integration [11] 177:12 180:23,25 181:14 182:10 203:10 208:14,25 212:20 213:10 253:21</p> <p>integrative [3] 206:19 207:7 209:17</p> <p>intense [1] 318:10</p> <p>intensity [1] 318:8</p> <p>intention [3] 32:11 201:15 203:9</p> <p>interaction [1] 180:18</p> <p>interest [5] 33:5,16 82:23 100:21 123:6</p> <p>interested [4] 30:25 37:14 41:13 286:19</p> <p>interesting [5] 20:13 46:3 55:21 109:1 302:13</p> <p>interference [1] 199:9</p> <p>interim [1] 272:21</p>	<p>interior [8] 178:3,21 180:8 191:18,19 192:15 193:5 196:11</p> <p>intermediate [1] 36:16</p> <p>internal [2] 210:1 218:10</p> <p>international [3] 33:2 33:18 117:18</p> <p>internationally [2] 182:22 200:18</p> <p>internet [1] 80:6</p> <p>interpret [3] 53:19,24 238:13</p> <p>interpretation [7] 51:11 51:13 186:5 205:17 233:3 238:4 240:18</p> <p>interrelated [1] 251:16</p> <p>interviewed [1] 108:7</p> <p>introduce [1] 147:5</p> <p>introduced [3] 34:17 70:5 71:1</p> <p>introducing [1] 55:22</p> <p>introduction [1] 159:5</p> <p>intuitive [1] 199:11</p> <p>inversion [18] 4:2,15,17 5:9 6:4 14:14 15:11,15 18:2 19:22 20:19 32:5 35:17 202:10,16 203:13 270:25 272:2</p> <p>inversions [2] 78:1 203:13</p> <p>invert [1] 272:5</p> <p>inverted [14] 5:1,3 7:1 7:20 19:13 73:20 78:12 166:13,18 179:14,15 201:2 252:8 271:18</p> <p>investigated [1] 114:4</p> <p>Investigation [1] 113:4</p> <p>invisible [8] 237:24 241:3,8,12 242:12,25 243:7 244:20</p> <p>invited [2] 33:4 204:25</p> <p>involve [2] 4:1 203:12</p> <p>involved [10] 17:17 24:13 33:9 34:1 38:9 61:25 137:8 138:13 187:23 201:19</p> <p>involvement [2] 33:18 34:3</p> <p>involving [2] 52:16 61:23</p> <p>Irish [2] 113:5 118:25</p> <p>isle [2] 152:1,3</p> <p>ISO [2] 117:19 128:11</p> <p>isolation [1] 166:2</p> <p>issue [109] 1:13 3:6,23 4:5,8 22:7 33:6 34:21 35:10 37:22,24,24 38:6 42:6 46:19 48:3 55:12 58:24 60:8 67:10,12 77:9 83:10 100:24 103:14 104:11 112:22,25 113:9 113:12 114:1 118:3,4 123:15 124:4 131:13,14 131:14,21 132:13,19,20 133:3 135:14,21 158:16</p>
--	--	---	--	---

<p>170:17 172:4,17 173:5 177:8,11 179:11,15 180:3 182:19 187:2 189:13 193:11 196:4 200:3 204:5 204:16 208:4 212:22 217:17 226:13 227:5 228:5,24 229:1 231:5,16 233:22 234:25 236:2 237:7 246:7,25 249:8 258:16 263:25 264:4,23 265:1 269:10 274:23 275:11 277:15 283:16 286:22 287:1,22 289:6 291:5,14,16,17 292:15 292:22 293:20,24 294:10 296:22,23 297:20 301:20 304:5 318:13</p> <p>issued [6] 58:13 113:3 140:13 246:6 247:4 280:22</p> <p>issues [55] 8:12,23 15:23 17:14 19:1,18 22:11 31:4 32:4,19 38:13 41:3 45:2 47:23 53:13,14 54:4 61:25 76:6 81:22 86:6 100:17 105:15,17 106:9 108:19 112:1 119:13 136:5 144:3,6 145:15 157:8 158:5,8,25 173:1 183:21 208:25 219:8 220:1 222:23 232:14 236:18 241:15,16 253:12 266:16 274:7 284:6 286:19 290:1 294:18 298:14 315:22</p> <p>issuing [1] 214:20</p> <p>it'll [1] 110:10</p> <p>items [5] 1:16 47:25 262:11 270:21 285:6</p> <p>iterations [1] 69:19</p> <p>itself [11] 4:1 125:18 134:12 147:16 208:17 210:7 223:21 229:5 263:12 269:19 275:5</p>	<p>jobs [3] 101:6,9 102:18</p> <p>Johannes [3] 283:18,23 298:23</p> <p>John [4] 1:9 147:23 148:7 261:17</p> <p>John's [7] 288:21 294:7 295:20,21,22 320:5,9</p> <p>joined [1] 130:17</p> <p>jointly [1] 155:4</p> <p>journals [2] 154:25 155:25</p> <p>Judy [1] 320:13</p> <p>jump [3] 23:1 107:19,24</p> <p>jumped [1] 216:2</p> <p>jumpsuits [1] 112:23</p> <p>June [3] 1:1 320:4,10</p> <p>jurisdiction [10] 25:22 80:11 96:18 112:15 123:12 124:20 127:16 129:2 137:2 138:18</p> <p>jurisdictions [3] 52:9 128:18 285:13</p> <p>justify [1] 292:18</p>	<p>189:16,23,24,25 190:11 190:14 215:11</p> <p>known [2] 285:9,12</p> <p>Kozey [1] 252:8</p> <hr/> <p style="text-align: center;">-L-</p> <hr/> <p>L2 [1] 7:1</p> <p>Labrador [11] 64:14 101:5,19 106:7 109:11 124:7 137:1 205:4 255:15 286:12 320:6</p> <p>lack [3] 104:1,2 130:17</p> <p>ladies [3] 1:3 156:8 254:14</p> <p>LAENGLE [1] 255:16</p> <p>lag [1] 34:12</p> <p>laid [1] 50:11</p> <p>land [6] 29:13 152:15 153:1,3 171:11 221:16</p> <p>land-base [1] 171:6</p> <p>landing [6] 8:4 229:6,10 229:11,12,14</p> <p>lands [1] 288:17</p> <p>lap [1] 175:17</p> <p>lapbelt [2] 174:15 259:23</p> <p>lapbelts [2] 177:3 191:11</p> <p>large [16] 16:1 45:5 58:8 69:10 72:6 89:3,19 175:16 207:3 208:5 220:17,17 235:14 288:5 309:1,10</p> <p>largely [1] 112:1</p> <p>larger [6] 57:15,17 94:5 178:7 219:19 275:21</p> <p>largest [1] 25:18</p> <p>last [29] 9:24 23:1 46:25 53:8 61:20 82:25 121:16 121:18 133:7 137:13 141:10 152:5 157:10 159:14 167:14 183:17 187:20 209:21 220:22 221:1 230:6 244:2 248:5 248:7 256:3 270:25 284:5 285:3 297:18</p> <p>late [6] 72:18 101:20 126:22 228:12 237:25 239:10</p> <p>latest [1] 7:7</p> <p>latter [1] 100:18</p> <p>layer [7] 125:1,4 214:14 299:20 301:2,5,16</p> <p>layered [1] 278:17</p> <p>layers [8] 56:21,23 133:23 213:25 276:8,10 276:16 301:1</p> <p>layman [1] 74:9</p> <p>lead [4] 10:5 147:13 151:10 210:11</p> <p>leading [1] 68:17</p> <p>leads [9] 57:7 163:14 164:10 173:6 182:19 190:16 215:22 232:19 233:5</p> <p>leak [1] 57:21</p>	<p>lean [1] 266:10</p> <p>leaning [1] 199:13</p> <p>learn [4] 47:12 48:16 49:12,16</p> <p>learned [1] 281:12</p> <p>learning [4] 48:9 53:4,4 195:11</p> <p>least [13] 7:20 19:6 35:23 42:17 47:22 70:2 98:8 98:11 107:23 165:10 196:7 246:14 250:1</p> <p>leave [4] 209:22 264:15 301:17,22</p> <p>leaves [1] 295:19</p> <p>led [2] 72:24 149:11</p> <p>leeway [2] 110:23 239:7</p> <p>left [12] 18:25 168:5 174:21 179:19 191:19,21 192:7 263:10 279:9 283:7 306:1 312:10</p> <p>legal [4] 127:24 178:8 284:24,25</p> <p>legs [4] 93:8 94:7 260:8 295:24</p> <p>length [2] 41:4 205:25</p> <p>lengthy [1] 311:18</p> <p>less [31] 8:7 11:6 12:18 12:21 17:10 22:4 27:25 32:21 42:17,19 43:7 56:12 59:4 67:7,10 77:9 85:5 97:4,9 98:4 105:5 111:4 135:22 162:6 163:17 175:24 202:1 213:4 214:14,14 273:6</p> <p>lesson [1] 96:15</p> <p>level [52] 18:4,19 43:17 53:15 55:13 57:2 95:21 96:1 108:1 124:3 134:10 168:14 183:17 191:13 192:5 194:14,16,22,23 194:25 195:8 197:8 198:16 199:20,22 206:10 216:20 217:12 218:12,19 219:15 221:19 228:2 233:8,9 238:10 239:5 241:22 242:3 243:13,18 243:18 244:11 245:11,12 246:14 252:11,20 257:15 260:22 262:1 317:9</p> <p>levels [11] 47:18 54:10 104:6 105:24 154:1 183:14 184:2 198:24 302:19 309:2 310:12</p> <p>lever [2] 42:24,24</p> <p>levers [1] 292:24</p> <p>life [12] 49:10 50:8 94:14 122:5,24 155:21 207:14 231:24 290:20,21 301:9 311:23</p> <p>lifejacket [4] 120:20,22 120:24 248:21</p> <p>lifejackets [1] 120:21</p> <p>lifteraft [1] 12:15</p> <p>lifetime [1] 102:19</p> <p>lifts [1] 12:20</p> <p>light [9] 24:14 118:14</p>	<p>185:9 204:25 207:2 218:8 264:2 268:18 316:16</p> <p>lightning [1] 194:20</p> <p>likelihood [1] 34:4</p> <p>likely [10] 5:19 11:7 12:18,22 17:10 27:24 78:18 175:24 277:15 316:1</p> <p>limbs [2] 175:7,7</p> <p>limit [9] 6:5 79:10 94:17 95:25 97:2 179:24 238:23 240:12 266:25</p> <p>limitation [3] 80:11 174:16 317:21</p> <p>limitations [2] 243:9 253:2</p> <p>limited [12] 5:17 27:5 44:7 124:10 146:11 174:15 200:21 201:13 225:19 226:5 271:23 281:7</p> <p>limits [7] 79:13 96:24 208:6 225:6 258:20 261:9 276:21</p> <p>line [3] 100:16 176:20 299:2</p> <p>liners [3] 55:22 56:4 216:25</p> <p>lines [1] 202:13</p> <p>lining [2] 84:21 85:15</p> <p>links [1] 37:19</p> <p>list [8] 3:24 58:23 103:15 114:10 159:19 254:14 270:10,10</p> <p>listed [6] 114:8,10,17,21 122:6 127:2</p> <p>listen [3] 234:18 235:4 235:13</p> <p>listening [1] 227:23</p> <p>literally [5] 21:1 288:17 292:25 317:11,18</p> <p>literature [6] 125:16,17 125:20 203:18 314:20 315:7</p> <p>live [1] 148:21</p> <p>lived [2] 231:12,20</p> <p>lives [2] 171:16 232:3</p> <p>load [5] 217:20 218:9,14 301:7 302:11</p> <p>loaded [1] 262:10</p> <p>loading [9] 22:13 216:3 216:17 225:5 308:24 315:22 316:24 317:22 318:9</p> <p>local [3] 32:25 55:25 268:12</p> <p>locate [9] 19:7 22:6 99:5 168:25 180:2 190:3 197:1 197:4 267:11</p> <p>located [9] 174:14 179:17,18 188:9 204:22 206:22 207:3 209:13 210:1</p> <p>locating [4] 41:17,18 187:25 264:16</p>
<p style="text-align: center;">-J-</p> <hr/> <p>J [2] 155:2 268:8</p> <p>Jack [4] 64:19,23 255:20 255:23</p> <p>jacket [3] 122:6,24 241:6</p> <p>jackets [1] 311:24</p> <p>Jakobus [3] 283:18,23 298:23</p> <p>jam [1] 215:14</p> <p>Jamie [2] 100:7,14</p> <p>jamming [1] 172:10</p> <p>January [1] 71:4</p> <p>JAR-OPS [1] 116:23</p> <p>jettison [3] 201:3 203:12 270:24</p> <p>jettisoned [1] 271:1</p> <p>jettisoning [5] 271:9,11 271:17 272:6,10</p> <p>JJ [1] 283:24</p> <p>job [3] 101:21 238:12 266:20</p>	<p style="text-align: center;">-K-</p> <hr/> <p>Kate [4] 111:18,24 298:23 307:3</p> <p>keep [14] 5:9 9:18 15:13 32:20 45:19 78:24 98:3 164:24 166:22 175:23 194:13 237:10 274:10 275:19</p> <p>keeping [2] 7:19 131:2</p> <p>kept [3] 55:24 107:22 180:7</p> <p>KEVIN [1] 283:19</p> <p>key [8] 104:11 157:6,8 169:14,18 170:3 205:23 217:17</p> <p>kilogram [1] 91:7</p> <p>kilograms [4] 90:16,18 91:3,5</p> <p>kilometres [3] 238:24 238:25 239:3</p> <p>Kim [1] 237:22</p> <p>kind [14] 3:17 6:22 13:20 33:10 79:10 81:20 119:2 159:10 177:18 288:18 302:11 309:15 312:8 316:14</p> <p>kinds [2] 33:3 44:25</p> <p>King [4] 153:9 187:21 189:10,10</p> <p>Kingdom [2] 32:24 147:3</p> <p>knee [2] 93:10 143:1</p> <p>knees [1] 75:10</p> <p>knew [4] 80:1 231:15,15 231:16</p> <p>knowing [3] 123:6 303:8 311:6</p> <p>knowledge [15] 30:20 104:1,2 111:2 124:13 141:23 145:20 185:18</p>	<p>189:16,23,24,25 190:11 190:14 215:11</p> <p>known [2] 285:9,12</p> <p>Kozey [1] 252:8</p> <hr/> <p style="text-align: center;">-L-</p> <hr/> <p>L2 [1] 7:1</p> <p>Labrador [11] 64:14 101:5,19 106:7 109:11 124:7 137:1 205:4 255:15 286:12 320:6</p> <p>lack [3] 104:1,2 130:17</p> <p>ladies [3] 1:3 156:8 254:14</p> <p>LAENGLE [1] 255:16</p> <p>lag [1] 34:12</p> <p>laid [1] 50:11</p> <p>land [6] 29:13 152:15 153:1,3 171:11 221:16</p> <p>land-base [1] 171:6</p> <p>landing [6] 8:4 229:6,10 229:11,12,14</p> <p>lands [1] 288:17</p> <p>lap [1] 175:17</p> <p>lapbelt [2] 174:15 259:23</p> <p>lapbelts [2] 177:3 191:11</p> <p>large [16] 16:1 45:5 58:8 69:10 72:6 89:3,19 175:16 207:3 208:5 220:17,17 235:14 288:5 309:1,10</p> <p>largely [1] 112:1</p> <p>larger [6] 57:15,17 94:5 178:7 219:19 275:21</p> <p>largest [1] 25:18</p> <p>last [29] 9:24 23:1 46:25 53:8 61:20 82:25 121:16 121:18 133:7 137:13 141:10 152:5 157:10 159:14 167:14 183:17 187:20 209:21 220:22 221:1 230:6 244:2 248:5 248:7 256:3 270:25 284:5 285:3 297:18</p> <p>late [6] 72:18 101:20 126:22 228:12 237:25 239:10</p> <p>latest [1] 7:7</p> <p>latter [1] 100:18</p> <p>layer [7] 125:1,4 214:14 299:20 301:2,5,16</p> <p>layered [1] 278:17</p> <p>layers [8] 56:21,23 133:23 213:25 276:8,10 276:16 301:1</p> <p>layman [1] 74:9</p> <p>lead [4] 10:5 147:13 151:10 210:11</p> <p>leading [1] 68:17</p> <p>leads [9] 57:7 163:14 164:10 173:6 182:19 190:16 215:22 232:19 233:5</p> <p>leak [1] 57:21</p>	<p>lean [1] 266:10</p> <p>leaning [1] 199:13</p> <p>learn [4] 47:12 48:16 49:12,16</p> <p>learned [1] 281:12</p> <p>learning [4] 48:9 53:4,4 195:11</p> <p>least [13] 7:20 19:6 35:23 42:17 47:22 70:2 98:8 98:11 107:23 165:10 196:7 246:14 250:1</p> <p>leave [4] 209:22 264:15 301:17,22</p> <p>leaves [1] 295:19</p> <p>led [2] 72:24 149:11</p> <p>leeway [2] 110:23 239:7</p> <p>left [12] 18:25 168:5 174:21 179:19 191:19,21 192:7 263:10 279:9 283:7 306:1 312:10</p> <p>legal [4] 127:24 178:8 284:24,25</p> <p>legs [4] 93:8 94:7 260:8 295:24</p> <p>length [2] 41:4 205:25</p> <p>lengthy [1] 311:18</p> <p>less [31] 8:7 11:6 12:18 12:21 17:10 22:4 27:25 32:21 42:17,19 43:7 56:12 59:4 67:7,10 77:9 85:5 97:4,9 98:4 105:5 111:4 135:22 162:6 163:17 175:24 202:1 213:4 214:14,14 273:6</p> <p>lesson [1] 96:15</p> <p>level [52] 18:4,19 43:17 53:15 55:13 57:2 95:21 96:1 108:1 124:3 134:10 168:14 183:17 191:13 192:5 194:14,16,22,23 194:25 195:8 197:8 198:16 199:20,22 206:10 216:20 217:12 218:12,19 219:15 221:19 228:2 233:8,9 238:10 239:5 241:22 242:3 243:13,18 243:18 244:11 245:11,12 246:14 252:11,20 257:15 260:22 262:1 317:9</p> <p>levels [11] 47:18 54:10 104:6 105:24 154:1 183:14 184:2 198:24 302:19 309:2 310:12</p> <p>lever [2] 42:24,24</p> <p>levers [1] 292:24</p> <p>life [12] 49:10 50:8 94:14 122:5,24 155:21 207:14 231:24 290:20,21 301:9 311:23</p> <p>lifejacket [4] 120:20,22 120:24 248:21</p> <p>lifejackets [1] 120:21</p> <p>lifteraft [1] 12:15</p> <p>lifetime [1] 102:19</p> <p>lifts [1] 12:20</p> <p>light [9] 24:14 118:14</p>	<p>185:9 204:25 207:2 218:8 264:2 268:18 316:16</p> <p>lightning [1] 194:20</p> <p>likelihood [1] 34:4</p> <p>likely [10] 5:19 11:7 12:18,22 17:10 27:24 78:18 175:24 277:15 316:1</p> <p>limbs [2] 175:7,7</p> <p>limit [9] 6:5 79:10 94:17 95:25 97:2 179:24 238:23 240:12 266:25</p> <p>limitation [3] 80:11 174:16 317:21</p> <p>limitations [2] 243:9 253:2</p> <p>limited [12] 5:17 27:5 44:7 124:10 146:11 174:15 200:21 201:13 225:19 226:5 271:23 281:7</p> <p>limits [7] 79:13 96:24 208:6 225:6 258:20 261:9 276:21</p> <p>line [3] 100:16 176:20 299:2</p> <p>liners [3] 55:22 56:4 216:25</p> <p>lines [1] 202:13</p> <p>lining [2] 84:21 85:15</p> <p>links [1] 37:19</p> <p>list [8] 3:24 58:23 103:15 114:10 159:19 254:14 270:10,10</p> <p>listed [6] 114:8,10,17,21 122:6 127:2</p> <p>listen [3] 234:18 235:4 235:13</p> <p>listening [1] 227:23</p> <p>literally [5] 21:1 288:17 292:25 317:11,18</p> <p>literature [6] 125:16,17 125:20 203:18 314:20 315:7</p> <p>live [1] 148:21</p> <p>lived [2] 231:12,20</p> <p>lives [2] 171:16 232:3</p> <p>load [5] 217:20 218:9,14 301:7 302:11</p> <p>loaded [1] 262:10</p> <p>loading [9] 22:13 216:3 216:17 225:5 308:24 315:22 316:24 317:22 318:9</p> <p>local [3] 32:25 55:25 268:12</p> <p>locate [9] 19:7 22:6 99:5 168:25 180:2 190:3 197:1 197:4 267:11</p> <p>located [9] 174:14 179:17,18 188:9 204:22 206:22 207:3 209:13 210:1</p> <p>locating [4] 41:17,18 187:25 264:16</p>

<p>location [2] 112:25 179:16 locations [1] 197:16 locator [2] 206:21 290:24 lock [1] 174:6 locked [2] 174:3,11 long-term [1] 150:22 longer [10] 2:19 32:20 65:7 84:11 89:25 94:7 110:19,25 120:4 306:7 look [107] 4:24 6:11,21 16:12 17:19 19:18 23:19 29:23 30:20 37:6,7 38:16 42:17 43:7,8,15,23 47:3 50:8 75:3 76:5 80:1,6 113:17 119:23 124:4 135:13 153:7 157:6 158:9 158:23 159:13 161:12 162:11,12,23 165:19 166:1,3 168:12 169:4,20 170:23 171:1,6,17,19 173:6 174:9 176:5 177:8 178:20 182:20 184:1 185:20 187:7 191:14 193:19 194:8 195:11 196:5,17 197:11 198:21 200:15,16,22 205:21 207:6,6 210:8 213:12 214:17 215:3,4 221:10 222:7 223:10,21 224:2,3 228:19,25 230:11 234:3 240:23 241:13,15 244:23 245:21 248:24 257:3,8 257:21 262:10 263:10 276:15 278:13 287:16 288:6 293:10,15 314:4 314:24 315:20 316:22 318:16 looked [31] 8:22 10:8 11:1,7 14:21 19:17 24:14 27:10 28:8 30:21 32:4 49:25 106:6 109:10,13 109:15 113:21 118:1 124:6 159:6 161:22 163:21 166:7 167:19 237:23 251:25 252:1,2 264:21 315:6 316:3 looking [86] 4:12 11:4 11:19 14:12,13,17,18 17:21 18:3 20:9 23:21 27:1,7 31:4 32:6 38:15 38:21 39:7 41:3,21 48:14 75:22 77:21 80:9 93:5 94:12 105:17 106:16 115:20 119:1,16 124:15 132:3 133:20 135:1,11 135:19 150:8,21 153:24 157:8 158:1,6 160:14 161:7,20 165:16 166:19 167:4 173:5,8 174:21 175:15 176:18 177:12 180:24,25 185:23 196:19 197:23 201:11 208:24 210:6 212:23 217:4,19 223:1 226:21 228:12 253:18 257:9 262:7 271:10 279:22 280:8 291:1 307:9 308:16,19 310:10 312:17 313:24 314:1,20,25 316:20</p>	<p>looks [3] 222:3 237:14 287:17 loose [2] 249:2 293:13 loosely [1] 233:10 lose [3] 98:9 99:6,9 losing [1] 120:3 lost [3] 98:2,5 192:18 low [8] 10:18 13:6 27:22 28:1 38:2 191:10 264:3 266:23 lower [12] 11:23 108:1 173:17,18 175:7 178:20 179:19 192:3 291:21 292:15,16 317:8 lowest [2] 191:24 233:11 lunch [1] 146:12 lying [1] 160:6</p>	<p>100:13,14 101:3 103:16 105:10 106:3 107:1,5,10 108:17 109:25 111:10,16 283:8,9 Master's [1] 153:23 Masters [1] 149:16 mat [2] 289:11,13 material [20] 37:7,7 66:10 87:2,7,8,25 94:8 208:10 210:1 217:15,17 220:6 249:4,7 266:18 279:16 280:12 281:3,22 materials [5] 85:6,11,16 88:4 210:9 math [1] 295:11 matter [7] 62:25 63:1 81:17 234:9 282:15,24 304:6 matters [1] 149:2 mature [1] 82:10 maximum [3] 94:20 110:20 144:17 may [34] 1:18 26:8 36:13 36:20 62:10 63:18 76:23 77:20 110:14 118:4 126:22 131:1 139:9 155:3 170:6 173:1,2 175:10 177:24 185:7 204:20 205:5,7 231:6 242:22 244:3 249:7,16 265:14 271:23 275:21 278:25 280:24 293:9 mean [41] 7:13 26:11 36:18 40:7 43:10 45:15 47:18 73:23 77:4 78:16 79:25 80:19 84:19,24 88:20 95:3,23 105:17 109:15,16 110:18 117:23 118:8 123:23 127:21 133:11 141:5 143:16 187:12 198:13 233:1,9 275:22 276:14 281:1 288:19 296:13 297:5 300:16 312:24 313:2 means [14] 2:17 8:5 36:25 42:22 53:3 58:15 128:2 186:4 238:15 256:7 281:21 288:22 300:19 320:7 meant [2] 12:6 16:9 meantime [2] 30:15 36:7 measure [7] 86:18 90:14 145:4 154:8,17 184:25 292:1 measured [5] 20:8 86:14 142:5 211:11 298:9 measurement [2] 86:21 87:22 measures [7] 6:1 47:13 47:15 86:22 103:19 154:10 178:6 measuring [4] 86:15 87:19,20 135:18 mechanical [2] 187:4 272:14 mechanics [1] 14:15 mechanism [4] 59:18</p>	<p>207:4 228:19 249:5 mechanisms [1] 41:20 medical [2] 47:6 67:6 medicals [1] 67:9 medium [6] 140:12,13 140:17 220:17 280:22 281:21 meet [10] 89:7 127:25 129:6 211:21 212:24 213:1,7 242:2 253:1 285:2 meeting [2] 33:23 128:19 meetings [2] 33:22 138:7 88:4 210:9 meets [3] 205:21 214:5,6 melt [1] 241:6 member [4] 64:23 138:1 255:24 298:11 members [2] 258:13 314:7 Memorial [2] 201:10 202:11 memory [2] 48:16 250:8 mental [1] 48:15 mention [4] 10:11 84:13 229:22 297:20 mentioned [22] 30:2,6,9 59:2 65:3 69:7 117:9 118:2 154:2,19 169:23 171:3 177:13 216:11 220:21 234:22 246:8 250:16 288:25 293:20 297:22,24 message [1] 56:14 metal [1] 288:11 method [2] 79:22 98:25 metre [1] 79:18 metres [7] 6:16 79:12,14 79:20,22 80:3,7 Mexico [3] 186:15 226:3 231:4 mic [1] 263:2 Michael [10] 50:2 146:2 147:6,23 148:7,11 255:20 268:8 306:5 307:3 Michel [1] 313:20 microclimate [2] 246:10 246:22 mid [3] 7:23 45:12 165:13 middle [5] 6:25 94:6 214:13,15 245:1 might [86] 28:19,19 56:23 57:20 62:23 63:17 66:7 75:13 77:1,11 78:13 86:20 88:24 92:22 99:6 117:23 123:15 145:1 146:7 149:2 152:2 154:10 159:9 162:20,21,21 163:22,25 165:5,6 166:13 170:3,11 172:24 175:1 177:23,25 178:10,18 179:16,17 185:8 186:13 186:24 200:4 203:11 205:9 207:16 208:10 214:16 218:7,16,23 219:11 223:5 230:1,3 231:17 232:13 233:19</p>	<p>239:19,20,21 241:17,17 245:8 247:20 248:16 249:4 250:17 252:11,12 256:3,4 260:13 263:2 264:12,13 265:12 266:8 269:2 280:25 290:10 294:21 298:14 307:7 military [49] 30:24 65:6 65:12,14,21 66:3,19 67:7 67:12,15 149:7,9,14 151:20 152:5,21,22 153:1 153:20 162:10 164:20,24 164:24 165:4,8,8,25 175:15 176:14 195:2,9 195:12 216:24 217:11 218:21 219:21,22 221:1 221:14 224:24 225:4 226:1 252:23 253:7,9 261:18 308:17 310:10 314:5 Mills [1] 251:24 mind [9] 164:25 166:22 168:5 180:7 265:18 274:11 289:23 291:8 292:18 minimum [2] 43:18 144:18 minus [2] 214:16 225:13 minutes [9] 146:3,7 247:20 254:6 282:11 306:1,6 316:10 317:7 mis [1] 122:17 mishmash [1] 9:12 miss [1] 64:2 missed [1] 237:13 misses [1] 228:18 missing [1] 256:17 misspoke [2] 1:19 183:6 Mister [1] 149:25 misunderstanding [1] 2:4 mitigate [2] 193:20 209:25 mixing [2] 128:24 237:5 mobility [4] 143:6 292:21,22 293:17 mock [2] 18:13 44:11 mocked [1] 167:7 model [11] 15:4,8 16:20 16:22,24 23:21 24:1,7 24:21 26:4 125:11 modelled [1] 25:2 modelling [1] 24:9 models [3] 16:13,16,19 moderate [1] 21:16 moderately [1] 21:13 modifications [3] 28:11 208:20 266:22 modified [4] 93:7 153:9 153:12 209:25 modify [1] 198:1 moisture [2] 85:4 277:23 moment [8] 60:9 73:10 131:18 157:19 212:10 290:12 306:1 307:6</p>
<p>-M-</p>		<p>machinery [1] 180:19 main [2] 158:7 170:25 maintain [1] 79:10 maintenance [1] 284:16 major [7] 5:18 113:9 212:19,22 228:5 231:4 265:1 majority [3] 69:22 70:1 172:8 makes [4] 113:22 143:22 169:14 177:19 manage [4] 36:18 47:23 76:11 284:14 managed [3] 95:24 141:8 142:2 management [10] 83:3 106:24 150:10 227:3 228:10 229:19 230:11 234:7 241:10 242:9 Manager [2] 284:17 285:13 mandated [1] 285:16 mannequin [3] 88:5,6,8 manner [3] 158:6 193:12 227:6 manoeuvre [2] 293:7 293:18 manual [2] 264:11,13 manufacture [1] 207:20 manufactured [1] 261:15 manufacturer [3] 129:16 134:21 142:7 manufacturers [2] 126:2 128:3 manuscripts [1] 155:25 marathon [1] 301:10 march [1] 221:18 Marine [6] 102:3,5 103:1 105:12 200:21 202:14 mark [2] 92:11 128:2 market [1] 239:24 marks [1] 80:21 Martin [18] 100:6,7,8</p>	<p>100:13,14 101:3 103:16 105:10 106:3 107:1,5,10 108:17 109:25 111:10,16 283:8,9 Master's [1] 153:23 Masters [1] 149:16 mat [2] 289:11,13 material [20] 37:7,7 66:10 87:2,7,8,25 94:8 208:10 210:1 217:15,17 220:6 249:4,7 266:18 279:16 280:12 281:3,22 materials [5] 85:6,11,16 88:4 210:9 math [1] 295:11 matter [7] 62:25 63:1 81:17 234:9 282:15,24 304:6 matters [1] 149:2 mature [1] 82:10 maximum [3] 94:20 110:20 144:17 may [34] 1:18 26:8 36:13 36:20 62:10 63:18 76:23 77:20 110:14 118:4 126:22 131:1 139:9 155:3 170:6 173:1,2 175:10 177:24 185:7 204:20 205:5,7 231:6 242:22 244:3 249:7,16 265:14 271:23 275:21 278:25 280:24 293:9 mean [41] 7:13 26:11 36:18 40:7 43:10 45:15 47:18 73:23 77:4 78:16 79:25 80:19 84:19,24 88:20 95:3,23 105:17 109:15,16 110:18 117:23 118:8 123:23 127:21 133:11 141:5 143:16 187:12 198:13 233:1,9 275:22 276:14 281:1 288:19 296:13 297:5 300:16 312:24 313:2 means [14] 2:17 8:5 36:25 42:22 53:3 58:15 128:2 186:4 238:15 256:7 281:21 288:22 300:19 320:7 meant [2] 12:6 16:9 meantime [2] 30:15 36:7 measure [7] 86:18 90:14 145:4 154:8,17 184:25 292:1 measured [5] 20:8 86:14 142:5 211:11 298:9 measurement [2] 86:21 87:22 measures [7] 6:1 47:13 47:15 86:22 103:19 154:10 178:6 measuring [4] 86:15 87:19,20 135:18 mechanical [2] 187:4 272:14 mechanics [1] 14:15 mechanism [4] 59:18</p>	<p>207:4 228:19 249:5 mechanisms [1] 41:20 medical [2] 47:6 67:6 medicals [1] 67:9 medium [6] 140:12,13 140:17 220:17 280:22 281:21 meet [10] 89:7 127:25 129:6 211:21 212:24 213:1,7 242:2 253:1 285:2 meeting [2] 33:23 128:19 meetings [2] 33:22 138:7 88:4 210:9 meets [3] 205:21 214:5,6 melt [1] 241:6 member [4] 64:23 138:1 255:24 298:11 members [2] 258:13 314:7 Memorial [2] 201:10 202:11 memory [2] 48:16 250:8 mental [1] 48:15 mention [4] 10:11 84:13 229:22 297:20 mentioned [22] 30:2,6,9 59:2 65:3 69:7 117:9 118:2 154:2,19 169:23 171:3 177:13 216:11 220:21 234:22 246:8 250:16 288:25 293:20 297:22,24 message [1] 56:14 metal [1] 288:11 method [2] 79:22 98:25 metre [1] 79:18 metres [7] 6:16 79:12,14 79:20,22 80:3,7 Mexico [3] 186:15 226:3 231:4 mic [1] 263:2 Michael [10] 50:2 146:2 147:6,23 148:7,11 255:20 268:8 306:5 307:3 Michel [1] 313:20 microclimate [2] 246:10 246:22 mid [3] 7:23 45:12 165:13 middle [5] 6:25 94:6 214:13,15 245:1 might [86] 28:19,19 56:23 57:20 62:23 63:17 66:7 75:13 77:1,11 78:13 86:20 88:24 92:22 99:6 117:23 123:15 145:1 146:7 149:2 152:2 154:10 159:9 162:20,21,21 163:22,25 165:5,6 166:13 170:3,11 172:24 175:1 177:23,25 178:10,18 179:16,17 185:8 186:13 186:24 200:4 203:11 205:9 207:16 208:10 214:16 218:7,16,23 219:11 223:5 230:1,3 231:17 232:13 233:19</p>

<p>moments [1] 148:19 monitor [1] 51:1 monitoring [1] 33:10 month [1] 150:15 months [7] 56:24 231:20 252:1,2,4,9,12 morning [28] 1:3,4,6 3:2 65:1 67:23 68:1,12 100:10,10,12 108:21 166:4,25 183:15 186:6 204:19 205:15,25 212:1 212:15 282:13 283:5,8 283:14 287:22 306:5 319:10 Moss [1] 320:13 most [27] 5:19 7:10 20:7 20:13 26:21 27:24 29:13 39:20 41:10,13 47:19 56:18,25 70:11 89:6 110:21 132:6 172:4 185:19 195:7 241:2 262:2 287:15 290:25 294:22 297:23 313:17 motor [1] 267:22 mouth [1] 120:1 move [29] 35:5 49:23 98:23 143:14 159:4 169:6 169:17 175:7 176:8 177:21 180:8,13 181:17 188:9 192:22 194:5 196:13 198:1 199:25 200:3 204:14 212:8 215:20 217:6 226:12 239:4,7 265:12,15 moved [11] 147:3 149:13 171:22 172:1 175:18 180:23 184:10,11 229:18 235:1,14 movement [3] 176:11 176:12 288:18 moves [3] 61:19 204:16 253:6 moving [10] 17:16 23:12 41:2 49:25 75:17 172:2 175:12 177:7 191:22 192:14 Ms [116] 62:19,20 63:10 63:17 111:17,18,19,23 112:5,11,19 113:24 114:5 114:16,25 115:4,10,24 116:7,11 117:3,13,22 118:10,16,24 119:5 120:8 120:13,25 121:6,10,20 122:1,13 123:5,19,25 124:18 125:8,15 126:5 127:9,13,17 128:21 129:3 129:11,19 130:23 131:12 131:24 132:12 133:2,17 134:22 135:2,15 136:7,9 136:17,21,23 137:15,20 138:4,11,16,24 139:3,6 139:15 254:20 255:16 282:5,13 283:7 298:17 298:19,23,25 299:6,16 299:24 300:4,15 302:15 302:24 303:6,13,17,25 304:10,18 305:1,11 306:3 306:6,16,17 307:3,4 309:6,14,21 310:24 312:1</p>	<p>312:7,15 314:13 315:11 315:15 318:17,21,21,23 Muir [1] 251:24 multiple [2] 251:16 276:16 multiply [2] 90:17,18 MUN [3] 64:9 200:22 255:10 muscle [1] 250:8 must [4] 60:16 87:1 99:23 285:17 mutually [1] 275:5</p> <hr/> <p style="text-align: center;">-N-</p> <hr/> <p>N [3] 90:6,12,14 N's [2] 90:25 91:7 naive [3] 19:20 95:2 273:13 name [10] 64:22 68:3 99:24 111:24 136:24 139:15 255:23 283:21,23 307:13 NASA [1] 228:11 National [2] 155:5 310:9 natural [1] 212:16 naturally [1] 184:16 nature [2] 288:20 314:12 navy [4] 112:15,18 113:17 117:23 near [1] 228:17 nearest [2] 59:21 60:2 necessarily [29] 36:18 43:7 45:17,21 66:13 73:17 131:6 161:13 164:11 170:7 178:17 181:13 185:14 190:12 194:17 195:10 200:23 229:4 230:15 231:7 233:1 233:8,13 240:23 264:22 280:13 315:17 318:2,11 necessary [3] 131:16 132:2 268:20 necessity [1] 126:13 neck [2] 220:9 249:7 need [89] 8:14,25 9:18 32:21,22 36:2 37:23 40:12 46:24 47:13 49:16 50:5 81:16 103:5 108:4 123:4 134:9 143:5 151:25 168:21 169:6,20 170:23 172:23 177:20 179:4 180:12 181:13 182:7,11 182:24 183:16 187:3,4 189:14 193:17 194:21 197:7,12,14 199:17 203:4 203:20 213:1,9 216:18 218:25 219:1,20 221:22 225:2,9 228:2,9 229:3 233:17,24 234:8 235:20 236:1,19,19 238:1 242:2 242:11 243:14,15,15,20 243:20 247:6,13 250:3,7 266:21 267:3,20,21 272:15 281:1 293:16,18 294:13 297:6 301:15 304:15,21 313:13 315:18</p>	<p>needed [15] 9:13 30:17 73:18 97:14 111:9 130:9 134:11 167:20 183:1,18 189:19 252:18 267:16 281:12 315:12 needing [1] 213:14 needs [15] 22:18 50:8 145:4 180:6 187:16 195:3 198:3 213:6 229:5 251:15 264:14,14 295:16 302:10 307:15 negative [5] 39:21 40:1 40:8 48:13 294:11 negligible [1] 276:25 nervous [1] 154:5 net [1] 172:8 Netherlands [3] 50:24 73:2,8 neutron [3] 90:14 91:17 92:1 neutons [8] 90:15,17 134:2 273:4,16 275:25 278:7,9 neutral [3] 84:19 91:10 317:4 never [8] 54:25 113:21 208:2 235:10,18 249:5,5 290:16 new [22] 35:23 92:24 116:17 121:16 124:14,17 126:18 129:5,13,15,21 170:4 181:18,19 189:11 221:7 222:4,5,5 239:25 245:24 298:8 newer [1] 74:7 Newfoundland [16] 64:13 101:5,19 106:6 109:11 124:7 136:25 142:17 205:4 227:18 232:8 255:14 279:2 286:12 311:21 320:6 newly [1] 23:15 next [47] 7:24 10:7 37:9 45:9,13,17 49:23 58:23 115:5 132:14 146:2 147:7 147:8 150:15 166:23 169:24 174:14 178:14 180:22 190:18 194:3,4 200:3 202:9,25 214:1,4 230:9,19 235:15,24 239:5 245:20 246:9,11,13,22 246:24 247:10,10 276:2 277:14,16 278:17,18 296:15,18 nice [5] 99:23 100:1 177:18 221:8 244:5 night [3] 168:10,12 244:2 nighttime [3] 168:16 169:12 185:9 nine [3] 202:25 203:6 294:23 NL [1] 320:9 nobody [3] 63:4 197:4 245:16 NOGEPa [1] 50:24 non [3] 54:24 258:5,9 non-readiness [1] 83:16</p>	<p>non-survivable [1] 260:11 non-swimmers [2] 54:11 199:5 none [3] 115:13 255:17 306:4 norm [2] 70:13 211:25 normal [5] 56:3 75:4 128:8 142:13 144:24 normally [6] 128:6 142:7,19 212:2 225:21 308:19 North [7] 6:9,10 8:21 49:2 61:11 70:13 71:13 Norway [6] 50:18,23 70:16 110:12 292:7,8 nose [1] 11:5 note [3] 12:23 37:3 152:7 noted [1] 316:10 nothing [9] 40:20 64:7 64:16 78:15 160:21 212:7 239:2,11 250:21 notice [4] 116:12 125:16 233:23 310:19 noticed [1] 317:22 Nova [4] 68:7 200:21 227:19 268:14 novel [1] 14:17 now [133] 19:1 23:1 24:2 24:7 25:22 30:2 35:10 36:15 44:2 48:1 52:7 56:18,25 62:13 70:23 71:19 74:8 77:13 81:11 83:10 84:11 86:5 90:5 92:9 96:4,8 99:6 100:5 105:11 115:3 116:2,4 119:22 128:4 129:4,6,17 129:20 137:24 138:3,23 139:23 142:17 144:4 145:25 146:7,18 151:6 153:15 156:17 157:24 159:4,24 165:7,12 171:21 172:17 174:3,13 179:25 180:2 184:12 185:5 187:9 189:9,11 192:18 194:16 194:18 196:12 198:5 199:13 200:7 202:16 203:5 204:16 205:21 207:7 208:8,19 209:17 211:2 212:3 213:19,24 214:18 215:20 224:19 226:12 227:10,13 228:2 229:19 230:1,8 238:12 244:2,6,7 245:8 246:25 248:7 250:4,13 254:5,14 257:22 263:5 264:15 269:6 272:10 275:13 278:23,23 280:16 282:5 282:10,24 283:4,7 284:10 286:17,21 289:3 291:18 294:10,18 298:17 302:6 303:24 308:25 313:19 318:21 nowhere [1] 133:22 number [58] 1:13 3:6 4:5 35:11 37:22,24,24 44:7 45:2,5 51:14 52:25 61:12 68:7 78:2 92:16 130:2</p>	<p>134:15 146:11 153:1 159:11 161:4 162:21 163:6 168:11,16 171:15 176:13 187:21,22 198:20 201:1,2 202:22 209:23 217:3,18 221:2 226:13 233:22,25 234:8,12 257:1 259:25 260:9,14 269:20 269:23 270:11 271:1 274:2 284:22,24 294:20 309:24 310:7 318:6 numbering [1] 269:17 numbers [13] 133:23 134:1,5 136:11 159:18 159:22 161:12 163:8,24 164:23,25 201:25 310:1 numerous [1] 186:17 nurse [1] 101:21</p> <hr/> <p style="text-align: center;">-O-</p> <hr/> <p>O'Brien [99] 63:17 111:17,18,19,23,24 112:5 112:11,19 113:24 114:5 114:16,25 115:4,10,24 116:7,11 117:3,13,22 118:10,16,24 119:5 120:8 120:13,25 121:6,10,20 122:1,13 123:5,19,25 124:18 125:8,15 126:5 127:9,13,17 128:21 129:3 129:11,19 130:23 131:12 131:24 132:12 133:2,17 134:22 135:2,15 136:7,9 136:17,21 282:5 283:8 298:17,19,24,25 299:6 299:16,24 300:4,15 302:15,24 303:6,13,17 303:25 304:10,18 305:1 305:11 306:3,6,16,17 307:3,4 309:6,14,21 310:24 312:1,7,15 314:13 315:11,15 318:17,21 O'Brien's [1] 282:13 object [2] 15:14 175:25 objective [2] 17:1 74:4 obligation [2] 140:19 238:9 observe [1] 288:23 observed [2] 11:4 39:20 observing [1] 1:20 obtain [1] 66:13 obvious [6] 23:17 39:21 41:9 51:22 54:11 82:23 obviously [19] 5:15 10:1 37:15 40:8 50:9 54:3 63:3 66:1 79:19 110:2 112:25 119:14 157:11 158:8,24 185:12 209:22 243:20 258:25 occasionally [1] 79:8 occasions [1] 295:19 occupant [1] 5:11 occupants [5] 5:13 6:18 10:22 19:2 20:10 occur [9] 110:10,14 228:6 236:3 250:23 251:5 260:10 297:12 317:2</p>
---	---	--	--	---

<p>occurred [10] 6:14 9:8 161:6,8 162:7 164:5 256:5,11 311:14,20</p> <p>occurring [2] 142:17 310:19</p> <p>occurs [9] 176:11,12 215:13 218:24 222:12 227:7 233:19 236:20 252:25</p> <p>odd [1] 117:25</p> <p>off [19] 8:16 18:3 55:8 77:1 85:20 99:11 107:19 108:5 205:20 206:25 208:11 210:18 225:23 226:2 261:24 288:17 296:12 297:22 299:2</p> <p>offer [3] 12:13 82:7 102:21</p> <p>offered [2] 54:20 109:12</p> <p>offering [1] 110:15</p> <p>officer [2] 47:6 225:5</p> <p>officers [2] 18:16 106:15</p> <p>officially [3] 110:20 231:17 256:16</p> <p>offset [2] 250:10 275:10</p> <p>offshore [59] 8:19 24:17 28:21 31:25 47:5,7 69:22 82:9 84:2 96:5 101:6,19 101:22,24 102:12 124:8 130:15,18 137:1 141:13 150:9 154:12 159:13,24 161:9,11 176:20 177:23 178:9,23 180:11 181:10 195:2,7 198:4 203:6 205:4,19 210:15 211:11 213:18 214:3,18 220:15 226:22 230:25 231:5 232:7 243:2 244:24,25 245:9 252:16 274:12 279:2 286:11 295:4 307:16 308:18</p> <p>often [7] 54:10 103:22 183:13,15 203:20 226:2 236:23</p> <p>oil [11] 29:6 55:21 56:18 62:18 63:8 131:2 150:9 161:9 231:5 254:19 274:12</p> <p>old [7] 74:9 107:18 116:13,17 129:9,18 201:23</p> <p>older [1] 92:23</p> <p>OLF [4] 50:12,14,15,23</p> <p>Oman [1] 153:5</p> <p>once [9] 16:9 19:17 40:13 119:17 174:4 189:9,10 217:21 269:20</p> <p>one [197] 1:13 3:7 6:14 6:25 7:2 9:2,4,8,9 11:2 11:15 12:12,19,25 13:15 14:22 15:4,18,23 16:7,7 17:1 18:24 19:14 20:7 20:13,15 22:13 24:16 28:7,16 30:1 32:19 41:5 42:25 43:4 44:14,22,23 45:6 46:8 47:7,25 51:22 53:13,13 54:7,20 55:10 55:21 56:1,2,3 58:23</p>	<p>59:17 60:14,16 64:21 70:2 74:6 76:7 77:6 78:12,12,15,16,19 80:18 81:3 83:11,25 84:5,7,9 85:23 86:25,25 93:4 98:15 99:24 101:11,14 101:17 102:9,17 103:6 103:14 104:8,12,22 106:15,19 107:23,25 108:19 111:3 113:13 115:6,23 116:1 117:12 119:14 122:7,10,20,24 124:5 125:14 129:8 131:18 132:5 133:19 138:17 146:15 147:10,20 147:21,21 155:1 158:6 165:15 166:7 167:14 169:3 170:24 173:13,15 176:9 177:12,14 183:17 185:19 186:20,22 188:11 188:20 189:4 191:19 192:18,18 195:17,24 200:7,9 202:9,10,17,19 203:4 209:10 211:23 214:14 215:1 216:1 219:6 219:9,10,10 223:9 224:19 225:14 231:18 234:8 238:18 240:15 252:2 255:25 256:5,14 260:2 263:9 264:12 265:4 266:16,22 269:7,20,23 270:12,14 272:7 281:11 283:7 284:22 286:2 290:10 293:20 294:18 295:8 297:18 302:14 303:3 304:20 306:1 307:20 309:24 315:16</p> <p>one's [1] 118:17</p> <p>one-to-one [3] 104:15 107:16 108:3</p> <p>ones [8] 9:9 39:22 56:8 116:19 177:23 201:22 224:20 266:1</p> <p>ongoing [8] 7:23 10:14 13:10 30:2 31:22 124:12 137:5 316:8</p> <p>onset [5] 198:23 208:20 210:18 247:5 252:13</p> <p>Ontario [3] 147:6 148:22 306:14</p> <p>onto [2] 81:18 158:12</p> <p>open [18] 41:7 83:14 186:4 188:7,12,18,20,22 190:2,3 193:25 196:21 223:5 233:2 234:23 235:8 249:23,24</p> <p>opened [1] 185:7</p> <p>opening [3] 75:25 252:7 271:22</p> <p>openings [1] 52:19</p> <p>operate [5] 56:19 124:19 264:7 272:15 313:6</p> <p>operates [1] 265:25</p> <p>operating [1] 41:20</p> <p>operation [6] 42:22 186:17 196:12 225:2 284:23,25</p> <p>operational [5] 116:24 180:9 198:2 225:19 238:7</p>	<p>operations [17] 73:3 149:11 177:6 178:23 226:10 234:11 236:13,25 238:3 284:13 285:9,10 285:13,15 289:24 310:18 316:3</p> <p>operative [2] 74:16 84:16</p> <p>operator [5] 158:9,15 170:24 231:5 234:22</p> <p>operators [14] 62:18 63:8 69:22 102:4 126:14 141:12 176:25 177:16 181:10 226:21,21 229:21 234:7 254:19</p> <p>opinion [9] 48:10 110:1 110:8,13 149:3 156:14 226:25 231:3 263:23</p> <p>opinions [4] 151:11 231:10,14 232:16</p> <p>OPITO [12] 50:12,20,22 51:14 52:3,14 70:6 76:4 77:24 78:3 103:14 110:20</p> <p>opportunity [4] 156:9 205:10 254:7 284:3</p> <p>opposed [11] 44:16 110:12 115:17 158:6 159:19 202:10 203:6 207:14 236:2 253:12 315:7</p> <p>opposite [1] 20:16</p> <p>optimistic [1] 126:22</p> <p>optimum [4] 35:16 109:24 110:2 111:2</p> <p>option [7] 11:8 14:22 25:3 45:19,20,23 56:8</p> <p>options [1] 144:12</p> <p>oral [1] 152:12</p> <p>orange [4] 15:3 217:6,9 286:24</p> <p>order [4] 41:23 96:9 309:8 311:1</p> <p>ordinary [1] 274:5</p> <p>organization [5] 38:9 46:17 50:17,24 234:4</p> <p>organizational [3] 181:4 231:1 232:9</p> <p>organizations [5] 50:12 51:1 59:8 151:20 234:13</p> <p>organized [2] 243:16 248:12</p> <p>original [5] 69:24 72:9 171:22,25 261:18</p> <p>originally [4] 138:1 208:22 229:9 240:2</p> <p>ornament [1] 221:7</p> <p>ornaments [1] 221:12</p> <p>otherwise [2] 232:12 266:19</p> <p>ought [1] 78:24</p> <p>ourselves [3] 185:14 251:4,19</p> <p>out-board [1] 44:17</p> <p>outboard [1] 179:21</p> <p>outer [1] 85:14</p>	<p>outfit [2] 262:9 311:6</p> <p>outline [2] 157:18 158:2</p> <p>outlined [1] 312:18</p> <p>output [1] 90:20</p> <p>outset [1] 86:10</p> <p>outside [3] 209:2 221:3 288:23</p> <p>overall [20] 10:13 21:20 35:14 55:13 61:8 74:4 85:24,25 162:3 163:15 163:17 164:17 166:10 169:5 170:7 200:23 210:7 220:10 278:11 314:25</p> <p>overcast [1] 294:6</p> <p>overhead [3] 215:4,8 293:6</p> <p>overlap [1] 169:20</p> <p>overlapping [1] 201:20</p> <p>overloaded [1] 267:15</p> <p>oversight [1] 132:9</p> <p>overview [1] 35:9</p> <p>own [14] 39:4,5 53:16 106:20,24 172:3,12 213:5 214:19 238:3,7 240:18 304:13 312:10</p> <hr/> <p style="text-align: center;">-P-</p> <hr/> <p>p.m [1] 319:11</p> <p>page [17] 4:6 100:19 114:8,19 152:11 154:25 157:18 200:9 202:25 269:6,15 270:8 307:10 312:16,17 315:21 316:4</p> <p>pages [2] 148:17 200:11</p> <p>painted [1] 289:11</p> <p>pair [3] 93:8 245:2 278:10</p> <p>panel [2] 8:11 192:9</p> <p>panic [3] 39:15 40:2,7</p> <p>pants [1] 276:5</p> <p>paper [15] 68:14,17,19 69:16 71:3 86:6 90:5 94:16 100:21 102:20 108:20,24 109:7 140:4 178:8</p> <p>papers [1] 196:18</p> <p>Paperworkers [1] 68:4</p> <p>parallel [1] 80:5</p> <p>pardon [11] 14:9 165:14 167:12 173:9 179:17,19 191:7 192:12 206:11 228:1 274:16</p> <p>Parliament [3] 64:23 255:24 256:9</p> <p>part [42] 16:1 17:25 27:1 34:18 47:23 53:4 55:14 55:15 59:6 69:19 70:6 73:3 78:7 81:21 85:7 100:18 102:2 106:10,20 106:24 120:6,16 123:2,8 132:10,14,19,21 197:23 209:7 210:17 214:20 233:19 234:5 247:14 277:9 284:17 290:25 292:9 308:22 312:4 314:8</p>	<p>partial [1] 19:15</p> <p>partially [1] 179:14</p> <p>participants [1] 154:21</p> <p>participating [2] 33:10 37:15</p> <p>particular [55] 24:1,6 24:12 26:3,4,13 34:24 35:4 54:2 64:24 67:2 82:21 101:7,20 124:4 125:14 128:19 129:2 138:20 143:1 144:15 145:3 155:11,16 158:25 164:18 165:24 167:2 176:9 178:18 179:23 181:9 186:22 187:17 197:11 199:4 207:1,13 207:17 208:14 219:10,23 223:21 224:22 229:2 232:23 235:2 236:7 260:21 262:9,13 291:20 308:16 310:17 313:16</p> <p>particularly [29] 5:17 27:19 30:22,25 57:15 94:5 98:2 102:5 103:22 103:23 105:2 119:19,23 123:11 144:16 145:2 152:9 156:18 176:5,18 177:23 217:16 220:1 246:18 268:17 278:13 281:18 286:18 299:8</p> <p>parties [3] 12:12 147:19 200:8</p> <p>partly [4] 25:11 31:17 35:1 72:4</p> <p>parts [6] 27:1 177:25 186:11 194:12 207:15 284:25</p> <p>pass [2] 31:15 254:1</p> <p>passenger [34] 24:17 35:17 88:18 115:12,17 122:11 126:20 130:1,3 130:10 131:4 150:24 172:7 173:11 205:13,16 205:20 212:8 216:9 218:22 220:13 221:24 223:14,18 224:2 261:1 274:5 291:22 292:17 295:14,15 296:20 311:21 315:5</p> <p>passengers [27] 9:1 25:19 38:2 53:15 70:13 100:16 113:7 116:15 117:1 118:22 131:16 132:7 133:15 173:16 218:23 219:9 226:22 229:21 260:5 286:11,23 291:16 294:21 295:4 307:16 309:25 316:21</p> <p>passengers' [1] 4:4</p> <p>past [17] 52:6 55:17 57:17 61:5,12 104:3 113:16 121:14 159:2 164:19 187:22 218:20 222:16 234:1 241:16 282:6 311:15</p> <p>patients [1] 314:11</p> <p>pattern [1] 28:13</p> <p>pause [1] 87:1</p> <p>pay [1] 139:25</p>
---	---	---	--	---

<p>paying [1] 96:16 pays [1] 247:12 pedals [1] 223:25 peer [3] 104:20 105:5 154:25 Peet [1] 320:5 pending [1] 36:9 people [83] 18:20 22:14 31:17 33:4 36:23 38:15 39:8,18 40:4,12,19,23 41:11,25 44:3 45:4,7,13 45:15,20 46:9 47:4,11 47:16 48:23 49:8 53:19 55:4 60:10 61:5,24 75:18 76:25 80:9 83:23 85:17 89:15 94:25 95:3 98:6 98:15,21 101:9 103:4,24 104:5,7,9 105:20 107:17 107:20 108:13 109:3 159:9 161:14 165:5 167:20 181:21 182:1 199:3,14 215:5,13,15 227:23 231:8,13,22 244:23 248:24 258:7 268:19 271:20 274:11 276:15 282:7 285:5 294:22 295:3 296:17 298:14 302:21 317:10 people's [2] 40:1 54:8 per [1] 200:23 percent [36] 21:12,14,23 40:19 47:17 120:22 162:3 162:6,7,15,17,24 163:2 163:7,9,10,12,14,15 163:18 165:1 167:23 168:1,15 169:6,7 184:8 189:19 252:21 253:7,8 253:10,15 272:3 300:21 percentage [1] 69:10 percentile [1] 197:21 perfect [5] 184:9 186:15 191:12 241:25 281:17 perfectly [3] 143:12 184:6 191:13 perform [33] 39:24 40:2 171:24 184:3 189:20 190:1 199:7,15,18 213:14 216:19,21 218:11,18,23 218:25 219:1 221:19,21 233:1,9 238:9 248:15 252:6,10,20 310:17 313:10,11,14 317:1,7 318:11 performance [31] 29:24 30:21 31:13,22 32:1,7 67:11 126:17 135:12 150:9,21,22 153:19 170:11 181:17 184:2 203:15 217:12,20,23 222:12 243:18 253:13 310:6,7,11,15,23 314:2 316:9,12 performances [1] 155:16 performed [1] 317:18 performing [1] 224:3 perhaps [28] 3:13,25 11:12 30:15 37:12 40:10</p>	<p>48:1 54:15,25 59:2 80:22 84:21 92:11 112:16 135:22 152:9 157:20 159:4 204:5 207:20 217:23 230:2 260:10 269:12 284:7 292:16 315:16,18 period [13] 23:13 65:7 68:25 82:19 109:24 110:2 111:3 124:10 149:8 164:6 195:13 268:21 310:16 periods [1] 311:18 peripheral [1] 288:16 perished [1] 311:24 permit [1] 63:2 person [26] 20:14 44:16 44:17 45:10 60:19 69:9 73:19 80:18 84:18 89:2 89:3 93:20,22 175:9 208:5 211:3 221:20 235:13,14 261:3 300:22 301:7,8,11,13,13 person's [1] 97:15 personal [36] 10:10 54:5 57:23 59:10,13,14,23 60:11 81:16,20 88:13 106:20,25 127:25 128:7 131:15 140:5 158:19,23 204:16 206:20 210:11 213:23 214:9 215:17 237:4 238:8 242:24 264:16 290:23 302:7,21 304:12 308:3,14 318:14 personally [2] 214:3 274:23 personnel [13] 66:19 67:5,7 106:8 153:1,2 161:4,11 165:4 195:8 229:21 243:2 252:19 perspective [5] 16:25 32:23 102:22 212:19 288:4 Petroleum [1] 137:1 Ph.D [2] 149:17,20 philosophy [1] 149:21 photo [1] 92:19 photograph [5] 4:25 6:23 15:2 93:19,21 photographs [2] 16:12 92:8 photos [1] 142:24 physical [6] 181:3 248:10 249:11,17 251:1 253:13 physically [4] 248:11 249:24 250:6,14 physiological [1] 150:22 pick [2] 2:25 104:14 picking [1] 89:4 picture [6] 6:12 18:11 18:23 173:8 279:8,14 pictures [9] 4:24 6:12 9:24 92:12,13 94:2,12 94:15 194:4 piece [13] 25:23 104:25 119:8 123:10 126:3 128:4</p>	<p>170:4 181:19 209:10,20 236:6 288:11 289:3 pieces [6] 131:18 289:9 304:20,20 315:19 316:14 pig [1] 261:19 pile [1] 278:16 pilot [31] 28:18 125:10 126:8,10 130:19 172:6 188:6 217:5 219:1,4,5,5 223:24 224:4 226:8 235:4 260:25 282:14,18,21 283:16 285:23 286:2 288:16 295:10,16 297:14 298:8 302:10 303:8 311:21 pilot's [3] 120:23 176:5 282:25 pilots [44] 81:2,5 111:17 112:22 113:8,12,13 120:14 123:7,14 124:23 130:20 131:17 132:8 135:22 168:18 176:19 187:24 188:1,10,14,20 189:18 218:15 219:12 220:2 224:8,9 226:4,8 228:16,22 229:1,4 235:10 260:4,7 282:14 287:15 295:7 304:11 311:1,15 312:9 pilots/copilots [1] 112:2 Pipe [1] 83:1 place [16] 37:9 61:10 181:2 185:5 186:19 190:10 193:22 222:11 227:3 240:1 245:8 260:14 261:23 290:14 293:17 320:5 placed [3] 30:11 209:14 235:1 plan [4] 59:14,23 106:25 308:23 platform [3] 68:6 107:19 268:13 platforms [1] 186:16 play [3] 94:15 291:16 293:21 playing [1] 96:24 pleased [2] 33:14 122:21 plunged [1] 55:5 plus [5] 46:10 69:25 70:2 225:14 257:20 pneumatical [1] 310:5 pocket [5] 59:20 69:23 69:25 70:2 72:10 point [80] 8:1 25:23 27:23 37:2 38:20 39:4 53:9 60:6,19 69:21 72:14 75:17,19 80:2 85:25 86:25 89:18 102:9 113:2 115:20 129:22 138:17 155:9 159:16 166:21,23 168:2 173:20,21,22 174:18 175:13,19,20 177:2,2 179:6 180:22 185:23 187:18 190:14 191:5 192:10 193:23 194:7,14 195:21 198:9 198:10,18 199:6,23 203:9</p>	<p>209:21 210:20 220:11,13 220:20 221:9 224:22 227:1 228:9 230:19 232:18 234:17 239:19 240:12 244:6 249:16,25 257:10 258:2 260:17 262:18 287:6 291:13,18 297:19 310:25 319:5 pointed [2] 198:23 205:14 pointing [1] 60:22 points [4] 215:18 248:23 251:10 284:4 pole [1] 238:6 policies [1] 56:25 policy [3] 56:19,22 60:15 polypropylene [1] 277:18 pool [2] 31:24 104:21 pools [1] 49:20 population [4] 89:9,10 197:21,22 portion [2] 188:18 196:9 portside [3] 173:9,9,15 Portsmouth [1] 32:2 posed [5] 32:25 37:23 182:23 183:4 196:5 position [56] 6:3 9:24 11:8,9 15:23 16:10 18:18 19:2 24:24 74:22 75:6,9 108:25 124:17 151:24 160:14 171:23 173:18,24 176:6 177:21 179:5,13 179:19,21 184:11 185:19 188:9,10 189:5 191:16 191:24 192:3 196:15,20 198:12 213:10 229:15 235:2 249:12,22 259:24 261:24 264:17,19 271:18 275:12,16 284:10,13 285:8,16,17,18 314:10 315:4 positioned [1] 197:15 positioning [1] 11:19 positions [1] 176:1 positive [5] 22:10 46:15 58:25 59:10 66:21 possibility [3] 10:3 37:1 172:2 possible [9] 9:20 19:3 32:12 37:20 73:25 99:7 175:11 194:1 230:17 possibly [24] 2:14 40:5 47:16 59:22 75:3 104:1 128:24 130:13 163:24 171:21,22 185:12 187:12 216:14 220:19 222:21 223:3 225:11,19 228:5 234:23 236:21 243:25 246:3 post [5] 83:1 150:12 168:23 231:13,20 post-capsize [1] 36:8 posted [1] 56:22 potential [7] 22:13 31:2 36:7 93:12 94:9 104:19</p>	<p>279:17 potentially [4] 25:19 74:2 122:7 275:4 pounds [2] 221:17 274:22 Power [1] 155:1 PowerPoint [5] 100:20 147:12,15 148:13 156:18 PPE [1] 126:3 practicable [2] 38:3 194:15 practical [3] 6:4 39:10 191:4 practicalities [1] 109:21 practically [1] 318:2 practice [9] 78:17 123:20 142:14 144:24 183:1 188:5 190:8 250:9 271:20 practices [2] 126:16 239:8 pre [1] 248:13 pre-existing [1] 129:12 pre-flight [1] 243:3 preamble [1] 102:3 precaution [1] 93:1 preceded [1] 116:4 precisely [1] 78:22 precondition [1] 81:20 predict [3] 153:25 170:10 191:6 predicted [1] 252:20 prediction [1] 195:19 predominantly [2] 65:21 77:5 prefer [5] 49:10 247:22 282:6,7 296:17 preferable [1] 289:24 preference [1] 21:20 preferred [4] 16:4 21:24 25:3,5 prefers [1] 283:24 preliminary [1] 68:12 preparation [4] 243:3 248:10 249:11 250:15 prepare [5] 124:10 183:1 250:6 251:4 317:16 prepared [5] 148:3,12 156:19 250:23 282:20 preparing [1] 249:14 present [7] 4:20 14:20 28:24 36:24 62:14 146:19 147:14 presentation [19] 4:6 100:20 101:12 112:7 114:6 134:4 147:12,16 148:13 152:13 153:16 154:3 156:18 157:13,17 249:14,15 253:25 254:4 presentations [1] 230:22 presented [1] 75:13 press [1] 263:2 pressure [3] 89:22</p>
--	--	---	--	---

<p>104:20 105:5 presumably [1] 275:18 pretty [8] 25:2 48:13 77:12 102:13 185:3 194:24 197:7 288:9 prevail [1] 305:25 prevalence [2] 69:18 71:12 prevent [5] 5:9 15:10 28:6 172:10 174:12 preventable [1] 60:23 prevented [1] 60:25 prevention [4] 4:2,14 4:14 14:13 previous [7] 101:25 111:11 116:1,21 161:21 207:14 314:21 previously [2] 161:23 177:13 primarily [3] 4:11 8:2 50:3 primary [2] 219:5 297:5 prime [1] 154:14 principle [3] 140:5 196:2 277:5 printed [1] 200:9 priority [1] 117:2 PRITCHARD [1] 64:15 PRITCHETT [2] 63:12 254:22 privacy [1] 99:25 private [1] 126:14 privy [1] 308:10 proactive [3] 235:22 236:14 237:2 problem [23] 2:17 34:6 40:11 46:3 54:9 67:7 90:2 97:9,15,19 98:5 101:18 106:16 120:3 166:11 173:2,2 176:15 218:6 231:15 236:8 265:13 270:15 problematic [2] 198:18 262:14 problems [24] 13:16 28:2,16 35:17,21,25 36:5 45:7,9 57:17 85:8 89:15 89:17 97:5,11 102:6 104:17 108:6 140:3 144:10 228:18 236:3 259:8 317:19 procedural [4] 189:24 189:25 190:14 268:18 procedure [2] 2:8 317:14 procedures [7] 39:10 42:20 48:21 73:25 116:24 230:14 270:24 proceed [2] 4:7 282:22 process [24] 24:13 32:8 33:3 75:25 77:18 78:12 141:5 150:6 155:8 195:4 201:10 211:10 218:1 225:18 226:15 227:4</p>	<p>228:17,22 229:24 234:21 241:11 248:14 283:2 292:10 processing [1] 225:17 produced [2] 102:9 129:15 producing [1] 128:12 product [1] 126:12 products [1] 261:12 professional [4] 95:4 95:19 102:15 105:14 professionally [1] 101:7 Professor [1] 32:3 proficiency [1] 198:16 profile [2] 264:3 266:23 program [13] 7:22 8:17 9:16 10:13 17:18 23:14 30:8 34:25 72:13 105:13 219:24 244:16 311:11 programs [3] 151:19 202:15 290:14 progress [3] 30:14 34:5 36:17 project [7] 35:4 54:9 55:21 150:17,18,20 230:9 projects [1] 198:21 prompted [1] 195:14 proof [1] 301:2 propellers [1] 4:18 proper [5] 83:13,18 140:7 176:15 293:3 properly [10] 3:9,10 47:12 83:15 87:10 132:18 133:6 210:16 250:19,20 properties [9] 217:9 223:22 260:21 290:22 292:2,16 311:12 312:5 316:25 property [2] 234:3,20 proportion [4] 40:18 145:6 273:15 295:3 proposal [2] 76:6 105:18 proposals [1] 34:9 proposed [1] 37:4 protect [2] 120:4 134:11 protected [1] 307:18 protecting [1] 120:6 protection [21] 96:7,9 119:12 125:4 133:13,24 134:10 135:7,22 206:10 242:1 286:21 291:15,21 292:3 296:24 299:10,20 301:19 302:1 312:22 protective [15] 120:17 121:2 128:1,7 131:15,18 158:19 204:16 224:25 243:14 277:17 311:12,16 312:6 316:1 prove [2] 234:9,15 provide [20] 9:4,7 31:6 39:9 41:21 102:22 107:16 124:22 126:6 134:8 142:8 147:19 200:8,17 300:7,9 302:9 305:4,16,21</p>	<p>provided [10] 62:7 85:15 125:17,18,21 133:22 134:3 202:2 300:17 303:21 provider [1] 102:25 providers [2] 103:10 200:19 provides [2] 36:7 39:7 Province [1] 101:5 proximity [1] 146:6 prudent [1] 147:4 PS4177 [1] 125:11 psychological [3] 154:9 250:15 251:2 psychologically [2] 250:22 251:4 public [6] 66:14 92:18 92:20 93:20,22 204:24 publication [3] 68:10 128:25 155:9 publications [1] 154:24 published [9] 23:6 31:10 32:10 69:16 72:5 127:8 165:14 196:18 314:21 pull [9] 98:8 99:1,14,14 190:3 265:20,25 266:6 290:21 pulled [4] 93:9 167:21 173:17 229:13 Puma [9] 7:1,4,7 178:6 178:19 192:15 193:6 194:4 196:16 pun [1] 14:9 purchase [1] 220:16 purchasing [1] 272:17 pure [3] 69:24 180:24 259:11 purely [2] 116:18 162:12 purpose [1] 122:14 purposes [1] 143:7 pursued [1] 30:10 pursuit [1] 7:19 push [8] 33:17 99:11 172:13 187:5,13 193:16 239:1 272:14 push-out [1] 105:19 pushed [4] 97:21 138:3 210:4 240:12 pushing [2] 76:1 130:21 put [42] 3:7,14 14:23,25 23:19 24:11 27:21 37:2 54:5,25 59:13 60:14 78:6 90:21 91:7 93:4 98:15 98:16 128:3 134:23 176:17 180:10 184:9 185:14 189:15,15 190:13 194:19 202:10 213:21 218:17 249:1 261:19,22 275:13 288:3 290:14 291:15 292:24 293:3 317:3,5 puts [2] 119:21 136:11 putting [8] 41:17 126:25 129:5 131:3 135:4 220:3 229:17 306:8</p>	<p style="text-align: center;">-Q-</p> <p>Q.C [351] 1:9,11 2:5,13 2:22 3:5,22 4:16,23 5:4 5:21 6:20 7:3,8,17 9:17 10:4,15,23 11:25 13:9 13:19 14:6 15:12,19 16:11,17,23 17:11 18:8 19:11 20:3,25 21:4,25 22:21 23:3,8,24 24:5,18 25:21 26:2,7,15 27:14 28:25 29:19,25 32:16 34:10,16 35:7 36:12 37:11,21 38:23 42:4,13 43:9 44:13,20 46:5,18 47:24 49:14,22 50:13,19 51:3,8,19,23 52:10,23 53:11,23 57:4,24 58:7 58:14,20 61:7 62:4 63:16 64:10,19,20 65:2,10,24 66:20,25 67:16,21,22 68:2,20 69:4,14 70:8,12 70:19 71:2,7,11,18,23 72:16,21,25 73:9,14 74:5 75:7,14,23 76:13,19 77:16 78:9,21 79:2,6,21 80:8 81:7,14 82:1,6 83:9 84:1,6,12 85:10 86:4,9 86:24 87:6,16,23 88:12 89:13 90:4,9,24 91:4,11 91:15,22 92:5 93:3,16 94:1,13,23 95:7,13,18 96:3,13,21 97:12,18 98:13,24 99:8,16,22 145:14 146:1,13,20,25 148:1,8,9,25 149:19,24 150:3,11,16,25 152:6,19 153:14 154:23 155:10,18 155:22 156:12 157:1,15 157:23 158:13 159:3,23 160:3,10,19,25 161:16 163:1,16 164:1,7 170:13 170:20 172:21 174:24 180:17 182:14 183:5,10 183:20 190:23 192:17,23 193:2 195:23 200:2 201:21 202:5,12,20 203:3 203:22 204:4,23 206:1 207:18,24 209:1,5 211:6 211:15 212:9,13 213:16 215:19 217:22 223:12 224:6,15 226:11,18 227:17,22 237:9,15,19 240:20 242:16,20 245:7 247:16 248:2,6 251:8 254:2 255:3,11,20,21 258:12 259:4 260:18 261:8 262:5,19,23 263:13 263:18 264:6 265:7,24 266:5 267:4,9,14 268:2 268:9,10 269:5,8,11,16 269:22,24 270:3,13,20 271:4,13 272:9,16 273:1 273:10,19,23 274:3,15 274:25 275:17 276:6,12 277:4,11,21 278:6,22 279:7,13,21 280:3,7 281:5,10 282:2 283:19 283:25 284:18 285:7,19 286:9,16 287:5,11,18,25 289:20 290:5 291:7,12 291:25 292:14 293:19</p>	<p>294:17 295:2,17,25 296:5 296:21 297:10,17 298:3 298:12 305:24 306:12,22 qualification [1] 148:15 qualified [4] 81:6 151:11 167:11 286:14 qualify [1] 122:5 quality [1] 242:9 quarter [1] 146:18 questioners [1] 111:12 questioning [5] 100:16 108:18 211:8 282:14 308:1 questionnaire [2] 153:25 154:13 questionnaires [1] 21:8 questions [59] 21:10 22:5 62:5,10,16,21,22 63:9,13,17,18 64:3,11 81:8 111:11 129:23 136:19 139:4,7,10,17,18 139:23 145:8,12 154:10 154:18 156:2,4,6,10 166:25 182:12,24 183:4 186:6 190:19 196:5 237:7 242:14,19,22 254:7,19 254:21,23,25 255:1 268:4 268:14 282:21 283:10 298:20 306:3 307:8,8 318:19,22,24 quick [1] 207:4 quicker [1] 32:22 quickly [8] 35:14 108:12 218:3 220:5 241:5,8 246:1 295:12 quite [40] 10:12 11:12 13:5 24:22 28:4 39:21 40:6 43:16 46:15 52:9 54:10,12,13 66:15 80:4 83:25 94:8 103:21 107:15 108:2,7 112:18 144:15 175:18 187:24 199:3 204:18 210:13 219:24 232:3,9 235:8 264:23 268:24 270:9 272:2 279:14 288:16 301:17 313:9</p> <p style="text-align: center;">-R-</p> <p>race [1] 257:22 rack [2] 262:8 297:22 radio [1] 184:23 raft [3] 32:6 49:10 50:8 rail [1] 40:17 rain [1] 194:20 raining [1] 239:20 raise [2] 62:22 81:22 raised [6] 75:10 80:25 113:2 167:17 190:19 291:13 ramping [1] 104:6 Randell [4] 67:21 68:3 268:8,11 range [45] 5:17 21:8 43:16,24 44:2 76:21 79:18,20 88:21 89:1,1,3</p>
---	--	--	---	--

<p>89:11 96:1 106:17 142:8 144:11 187:15 219:11 261:2,11,16,23 262:15 281:7,13,17 302:18 303:3 303:7,10,14 307:17 308:4 308:7 309:22,25 310:22 311:5 313:6,12 314:2,16 314:17,22 ranged [1] 310:12 ranges [1] 299:11 ranging [1] 307:19 rapid [1] 40:4 rapidly [1] 272:5 Rasmussen [1] 237:25 rate [21] 162:3,6,8 163:9 163:13,15,17 165:1 166:11 168:2,13 169:9 170:8 228:14 240:5,6,14 253:10,16 272:1,2 rated [1] 300:12 rates [3] 27:7 166:18,19 rather [15] 11:11 15:13 25:7 53:18 108:15 124:13 124:17 129:18 130:16 142:4 144:18 204:25 247:18 256:16 282:10 rating [10] 292:12 299:21 300:10,12,19 301:25 303:20 304:6 305:7,16 ratings [1] 299:12 raw [1] 161:1 Re [1] 155:1 re-exposure [1] 40:14 reach [18] 151:25 173:7 174:2,14 175:5 179:5,6 179:25 180:2 185:1 188:8 193:11,14 197:3,24 248:20 293:1,2 reached [1] 188:15 reactions [2] 40:5,6 reactive [3] 215:10 235:22,25 read [6] 88:4 100:21 127:3 148:6 156:9 276:17 reading [2] 89:5 132:13 reads [1] 133:3 ready [6] 1:8,12 4:7 153:7 226:12 250:17 real [31] 16:20 39:16,18 40:25 41:12 42:3 44:11 48:24 55:3 89:15 94:14 170:11 172:4,14 176:15 183:2,6,9,19 184:4 185:2 185:17 189:6 191:2,8 195:20 223:9 245:6 271:21 291:3 318:3 realism [2] 41:6,8 realistic [8] 41:9 43:2,5 43:10 47:21 194:19 195:18 252:17 realistically [1] 43:3 reality [2] 42:25 49:6 realize [4] 48:25 49:4 122:17 220:5 realized [1] 154:16</p>	<p>really [86] 8:16 14:5 20:9 22:7 36:2 38:14 48:5,25 70:4,13 94:8 106:11 108:8,13 111:5,7 112:22 113:11,21 118:18 124:14 131:1,21 132:22 154:6 154:11,20 158:22 159:16 161:20,25 165:20,22 166:8,9 177:7 181:23 184:19 187:19 190:20 193:18 199:1 201:14 203:13 205:22 206:16 211:25 214:22 216:1,23 221:13 222:11 223:20 227:13 228:8,11 231:16 231:19 232:5,11,16 234:4 234:20 241:1 242:10 243:8 246:6 250:16 253:23 259:15,24 262:10 264:3,24 265:19,23 267:21 278:19 282:16 284:14 296:23 297:18 304:5 305:4 308:18 312:9 rear [3] 93:21 173:10 259:20 reason [13] 52:2 94:14 97:14 124:19 129:22 194:9 207:5 239:14 249:3 288:5,12 289:15 290:13 reasonable [14] 92:4 187:16 208:23 218:19 235:5 240:1 241:14,14 247:11 252:24 259:7 261:24 314:22 315:3 reasonably [7] 38:2 191:4 194:15 195:15 199:6 257:12 310:21 reasoning [2] 48:15 96:4 reasons [6] 23:17 54:11 101:17 118:14 292:17,20 reassuringly [1] 24:22 rebreather [4] 69:24 70:18 72:10,18 rebreathers [1] 71:14 rebreathing [4] 65:16 67:3 263:14,16 recap [1] 119:10 recent [2] 26:11 113:3 recently [2] 52:4 165:13 recertified [1] 13:24 RECESS [2] 81:13 146:22 recessed [2] 193:8,15 recognition [5] 9:11 30:13,17 69:6 307:20 recognize [6] 104:13 108:5 218:7 241:5,7 286:24 recognized [1] 285:10 recognizing [3] 13:22 104:17 241:25 recommend [2] 123:23 135:3 recommendation [4] 94:24 104:8 312:25 313:1 recommendations [2] 8:13 76:7</p>	<p>recommended [8] 28:10 28:14 30:10 53:3 56:20 273:3 299:12 303:10 recommending [1] 94:19 recrimination [1] 81:23 recruited [1] 308:15 recurrence [1] 183:14 recurrency [2] 198:19 250:11 recurrent [3] 46:2 108:25 203:5 red [3] 2:24 161:5 218:8 redacted [1] 99:25 reduce [8] 11:10 12:17 39:15 47:15 85:1,8 176:11 228:14 reduced [3] 175:22 176:22 210:6 reduces [1] 259:12 reduction [3] 20:22,24 21:18 redundancy [2] 9:4 17:8 reenforced [1] 244:18 refer [4] 204:20 205:5 220:22 307:19 reference [8] 68:9 103:15 126:10 193:23 205:7 248:22 249:24 292:6 references [3] 103:15 155:25 282:13 referencing [1] 307:12 referred [8] 11:15 27:2 68:11 79:9 116:22 142:24 144:2 212:15 referring [5] 147:9 205:9 207:8 208:19 311:19 reflect [1] 41:11 reflected [1] 101:13 reflection [7] 118:5 287:21 288:14,15,24 289:10,14 reflective [5] 217:9,14 289:5 290:22,22 refresh [2] 109:4 183:16 refresher [1] 268:22 refused [1] 56:10 regarding [2] 305:15 312:19 regardless [1] 301:25 regards [1] 285:1 regime [1] 210:21 region [1] 295:12 Registrar [12] 92:17 93:18 114:19 148:5,18 157:16 200:6 204:10 269:14 270:1,16 283:20 regular [3] 106:9 159:9 219:2 regularly [1] 159:11 regulated [4] 13:18 29:24 43:19,23</p>	<p>regulation [8] 29:9,11 116:19 178:17 228:3 246:20 285:1 313:7 regulations [4] 13:17 29:12 173:12 185:25 regulator [10] 3:11,18 3:25 29:2,5 33:1,7 130:17 137:2 139:2 regulators [4] 57:9 131:1,3 137:24 rehydrate [1] 225:23 rejected [2] 12:10 15:7 relate [3] 29:12,15 152:21 related [30] 83:19,21 151:21 153:23 158:20 166:23 168:17,18 170:9 178:12 181:21 196:17 206:16 215:11 216:22 217:20 218:2 242:15 253:12,14 260:1 274:24 275:8 289:1 293:23 310:17 313:4 314:7 316:8 316:18 relates [7] 26:4 39:18 155:15 215:16 216:4 246:3 256:24 relation [3] 32:17 153:19 153:20 relationship [3] 74:23 166:10 169:13 relative [1] 317:6 relatively [3] 13:6 26:11 31:23 release [7] 22:17 75:5 174:8 184:22 188:17 207:4 249:4 releasing [3] 19:5 41:19 74:24 relevant [1] 48:1 religiously [2] 59:19,20 relocate [1] 197:2 relook [1] 30:16 reluctant [2] 126:24 127:19 remaining [2] 6:3 22:12 remember [7] 68:24 69:3 70:22 79:25 117:8 117:20 313:21 remind [1] 287:15 remit [1] 109:16 removal [1] 52:4 remove [2] 52:20 201:19 removed [1] 174:16 removing [1] 52:22 render [1] 35:21 repeat [2] 52:20 86:21 repercussions [1] 228:21 repetition [1] 268:19 replace [1] 188:13 replan [1] 296:14 report [58] 8:10,16,18 26:24 30:8,9 31:11 32:8</p>	<p>103:13,20 105:25 109:17 113:3 114:9 124:11,16 127:2 131:20 132:1,16 132:20,22 133:8 147:11 147:15,16 148:12,16 156:20 158:9 159:20 162:2 164:11,14 167:2 169:22 190:15 200:5,7 200:13 215:24 217:3 233:24 246:8 249:15 251:14 269:6,19 270:11 299:11 307:10,10 312:16 315:1,17,21 316:4,7 report's [1] 257:16 reported [2] 1:18 8:11 reporting [2] 229:24 230:13 reports [20] 66:1,5,16 66:21 157:12 162:11 165:17 168:11 171:15 176:13,18 217:4,18 225:3 230:5,7,21 233:25 257:7 273:4 repots [1] 276:18 represent [9] 68:3 89:10 100:15 163:9 186:8 229:8 249:20 263:24 268:12 representation [1] 249:18 representative [11] 77:10 185:24 186:2,4 190:11 197:14,15 198:7 233:3,4 256:9 representativeness [2] 187:8 189:12 represented [2] 43:3 198:5 representing [1] 111:25 requested [1] 178:10 requesting [1] 156:21 require [7] 3:8 128:18 132:17 133:4 196:14 213:4 214:18 required [34] 5:25 9:7 91:25 116:19 128:15 129:1,4,6 132:10 151:22 153:2 165:7 167:21 177:14 179:3,7 182:3 190:20 196:10,18,25 197:8 198:17 201:5 207:11 212:24 227:2 229:20 233:18 247:8 253:4,21 272:8 317:1 requirement [11] 28:24 75:24 89:8 121:24 127:24 131:7 173:13 189:8 206:5 206:21 312:18 requirements [27] 29:14 31:9 37:6 116:22,25 126:15 127:23 128:17 129:2 130:6 131:9 158:10 158:16 170:24 180:10 181:11 182:6 213:13 214:7 215:25 225:20 238:6,7 245:18 251:23 285:2 313:13 requires [1] 202:16 rescue [5] 149:10 168:23</p>
--	--	---	--	---

<p>258:16 311:25 314:11 research [79] 4:2,10 7:22 8:1,16 9:16 10:13 13:10 16:18 17:17 20:5 22:23 23:12,13 26:3,16 29:1 30:1,8,14 32:17,22 33:11 34:7,19 35:10 37:6 39:6 42:18 47:3 48:14 65:18 66:1,11,14 72:13 119:2 123:16 124:14 137:5 145:21 151:21 152:4 155:5 164:19 165:12 166:5 173:22 176:13 196:17 197:10 198:20 199:8,12,21 231:10 239:22 241:21 250:3 251:24 253:20 257:8,21 261:17 268:24 269:3 271:16,24 302:19 305:6 308:2,12 309:8 310:5 311:4 313:23 315:8 318:7 318:16 researched [1] 300:22 researchers [3] 168:6 271:25 314:1 resemblance [1] 184:7 reserve [1] 62:22 reserved [1] 145:12 residual [1] 35:8 resistance [2] 121:14 235:18 resolve [2] 22:20 212:18 resolved [1] 22:12 resources [1] 285:5 respect [18] 22:23 99:25 117:6 126:8 131:13 133:24 134:1 137:5 138:17 148:4 149:2 153:16 156:21 272:18 296:24 299:8,9 312:22 respiratory [1] 67:11 response [8] 47:5,6 105:18,25 150:9 258:15 300:23 301:24 responses [1] 106:17 responsibilities [2] 284:19,22 responsibility [19] 23:13 29:22 54:16 57:2 57:11 59:7 60:7,11 61:14 81:4 137:25 138:2 140:6 140:12,14,20 285:4 304:13 307:2 responsible [5] 50:17 55:12 58:1 130:19 210:14 rest [4] 164:14 188:7 265:18 282:23 restrained [2] 175:6,17 restrains [1] 173:24 restraint [1] 176:16 restricted [1] 273:14 result [5] 17:12 20:4 22:10 82:18 308:8 results [7] 12:3 19:12 24:23 309:9,16,18 318:12 retain [3] 101:11 251:25</p>	<p>268:20 retained [1] 157:3 retaining [1] 269:1 retardant [1] 125:5 retention [2] 109:19 111:8 retrained [1] 46:11 retraining [1] 109:24 retrofit [2] 35:25 36:3 revert [1] 184:15 review [9] 8:11,18 37:4 105:12 154:25 155:8 307:15 314:20 315:6 reviewed [1] 114:7 revised [2] 148:17 269:7 rewarding [2] 101:6,21 RGIT [5] 17:18 18:12 45:3 47:3 54:20 RHOSS [2] 8:18 30:9 riding [1] 64:24 rig [2] 216:13 304:8 right [87] 1:24 2:14 10:5 14:12 16:18 18:11 35:13 51:6 52:2,11 53:2 62:22 63:6 64:9 71:10 87:15 87:24 90:25 99:2 115:7 116:8,10,15 117:14,24 117:24 118:20 119:12 134:24 136:18 145:12 154:24 156:8 160:24 161:3,20 163:20 172:17 176:10 178:5,20,25 179:25 183:11 187:9 191:17 193:1 194:6 196:12 198:5 202:4,19 206:6,9 207:20 209:16 211:14 214:8 222:2 224:19 227:10,13,21 228:2 229:25 230:8 237:3 238:12 250:4 257:22 259:11 263:21 268:3,16 273:18 275:13,21 278:1 283:13 298:22 305:2 306:21 309:20 310:4 313:19 317:19 318:18 rights [1] 129:9 rigs [1] 6:10 rise [1] 149:2 rising [1] 139:7 risk [16] 12:7 27:25 31:4 38:2 80:9 119:15,19,21 131:10 134:7 193:21 227:9 236:4 301:18 302:3 302:5 road [2] 221:9 239:21 robust [1] 309:8 rocket [1] 261:20 Roil [187] 1:8,9,11 2:5 2:13,22 3:5,22 4:16,23 5:4,21 6:20 7:3,8,17 9:17 10:4,15,23 11:25 13:9 13:19 14:6 15:12,19 16:11,17,23 17:11 18:8 19:11 20:3,25 21:4,25 22:21 23:3,8,24 24:5,18 25:21 26:2,7,15 27:14</p>	<p>28:25 29:19,25 32:16 34:10,16 35:7 36:12 37:11,21 38:23 42:4,13 43:9 44:13,20 46:5,18 47:24 49:14,22 50:13,19 51:3,8,19,23 52:10,23 53:11,23 57:4,24 58:7 58:14,20 61:7 62:4,13 145:25 146:1,13,20,24 146:25 148:1,7,9,25 149:19,24 150:3,11,16 150:25 152:6,19 153:14 154:23 155:10,18,22 156:11,12 157:1,15,23 158:13 159:3,23 160:3 160:10,19,25 161:16 163:1,16 164:1,7 170:13 170:20 172:21 174:24 180:17 182:14 183:5,10 183:20 190:23 192:17,23 193:2 195:23 200:2 201:21 202:5,12,20 203:3 203:22 204:4,23 206:1 207:18,24 209:1,5 211:6 211:15 212:9,13 213:16 215:19 217:22 223:12 224:6,15 226:11,18 227:17,22 237:9,15,19 240:20 242:16,20 245:7 247:16 248:2,6 251:8 254:2 269:8,22 270:3 278:25 305:24 306:12,22 role [2] 57:9 284:20 roles [1] 284:16 roll [4] 12:17,19 16:3 272:1 rollover [1] 151:24 rolls [2] 201:1,2 room [5] 37:14 62:10 182:16 246:13 301:21 rotary [1] 162:16 rotation [1] 4:17 rotor [1] 12:8 roughly [1] 161:10 round [1] 103:23 routes [1] 80:22 row [1] 177:19 rows [2] 59:21 215:3 rudder [1] 223:25 run [10] 146:14 187:1 193:10 213:20 219:8,18 219:22 228:18 301:9,18 rushing [1] 108:15</p>	<p>safest [1] 45:19 safety [73] 8:19 23:16 31:2,2 33:8 38:1 45:14 46:19 53:16 54:1 59:18 60:8,12 61:19,22,25 82:4 82:18 83:3 119:9 123:10 124:5 137:16,19 149:9 149:10 158:22 181:5,5 191:2,3 194:14 226:16 227:2 228:10 229:19 230:3,11,18,20,25 231:1 231:2,6,8,11 232:8,10 232:22 233:6,20 234:3,4 234:5,7,14 235:6,23 237:24 238:10 240:7,10 241:10 242:8 243:5,6,13 244:16,21 245:18,19 289:18 307:24 sample [4] 89:9 309:1,7 309:10 satisfied [3] 202:21 290:7,9 save [1] 171:16 saw [3] 24:16 104:18 292:8 says [12] 3:7 115:11 117:10 133:3 202:14,16 203:6 230:5 238:11 307:14 316:6,7 scale [5] 16:16,20,22,22 16:24 scan [2] 205:6,11 scared [1] 54:12 scary [1] 39:14 scenario [15] 20:17 25:9 26:22 29:16 39:9 40:21 41:12,15 42:3 43:21 48:19 75:12 188:15 201:12 296:20 scenarios [4] 8:8 28:6 50:6 215:12 schedule [3] 78:25 198:19 296:11 scheme [4] 33:15 35:15 35:22 36:10 scholarly [1] 154:24 school [1] 104:8 SCHULTZ [2] 62:15 254:16 scientific [1] 180:19 scoops [2] 12:14,14 scope [3] 132:2 164:4 301:17 Scotia [2] 200:21 227:19 screen [2] 192:22 217:13 scroll [1] 270:7 se [1] 200:23 sea [40] 5:22,25 6:2,5,7,9 6:10,15 7:11 8:21 11:2,8 12:25 13:2,5 49:2,7 61:11 70:14 71:13 79:9 79:15,17,23 80:3,4,6,13 80:14,23 113:5 118:25 120:10 123:11,13 153:5 153:9 187:20 189:10,10 seal [1] 57:19</p>	<p>seals [6] 57:16,18 87:9 89:17 220:9,10 search [4] 149:9 168:23 258:16 314:10 searching [1] 185:11 seas [4] 6:13,15 79:10,17 seat [55] 43:1,2 45:8,16 45:24 59:21 74:8,12,16 75:2,4,4,8 152:2 171:2,5 171:8,10 172:1,3,3,11 172:12,20 173:10,11 174:13 175:9 178:6,22 178:24 179:21,22,23 180:1,9 182:1,3 184:10 191:16 194:8 196:23 197:1,3,3 234:25 235:17 258:22 259:12,15,20,22 261:4,5,22 seatbelt [2] 208:13 248:25 seatbelts [1] 190:12 seats [33] 40:20 44:22 45:13 169:24 171:3 172:5 172:6,7,9 177:19 185:24 186:2 190:12 191:10,23 194:7 198:1,7,8,9 215:4 215:7,14,15 233:4 249:19 257:20 260:19 261:1,9 261:10,14,25 second [23] 3:23 6:14 11:15 15:2 55:10 56:10 93:19,21 108:18 125:4 132:20 147:10 152:25 174:1 183:13 202:8 219:4 238:4 248:7 270:25 291:13 292:21 293:20 secondly [1] 285:2 seconds [3] 2:18 20:19 20:21 section [4] 132:16 133:7 173:19 307:12 sector [3] 50:4 60:9 70:16 security [1] 147:18 see [99] 2:11 7:2 8:4 13:15 15:1,3,10 17:13 18:12 18:22,25 42:21 45:20 49:10 59:5 60:12,17 61:2 73:15 76:14 90:25 92:3 93:9 94:4 99:23 102:20 110:25 114:20 115:20 119:24 130:9 139:7 142:19 143:23 153:13 159:15 161:3 162:25 163:12 164:20,22 165:3 165:20 166:2,9,21 168:14 171:12 173:18 175:21 178:17 191:15,17,21,22 192:6,7,10,15,21 193:21 194:3 201:23 204:25 209:15,16 211:11,25 212:2 220:1 222:23,24 223:17,18 227:11,12 228:4 231:3 234:13 239:22 241:18 243:10 247:25 253:6,17 262:10 263:11 264:21 267:10,11 270:7 274:13,18,20 280:23 288:22 294:13</p>
---	---	--	--	---

-S-

S-76 [3] 181:23,24 191:11
S-92 [7] 179:20 191:15
 191:18 192:11 196:12
 286:14 290:12
S92 [1] 173:10
S92A [1] 25:24
safe [16] 80:13 96:24
 174:18 190:20,24 191:1
 234:18 238:2,16,22 239:2
 239:4,8 240:13 242:9
 284:23

<p>305:5 317:20 seeing [4] 3:18 18:4 161:25 168:8 seem [7] 126:23 152:11 171:14 258:18 276:18 281:6 293:9 selected [1] 292:5 selection [2] 292:10 297:20 Self-righting [1] 206:4 semi [1] 188:4 semi-annual [1] 189:3 senior [1] 47:6 sense [5] 78:10 81:21 253:1 315:2 316:5 sensible [2] 12:11 140:23 sensitive [1] 110:5 Sensitivity [1] 153:18 separate [5] 49:17 114:14 115:22 120:20 208:16 separated [1] 205:13 separation [2] 169:3 205:15 sequence [4] 42:1 203:23 203:25 317:19 series [2] 52:24 297:23 session [1] 188:5 set [15] 12:19 15:18 17:1 31:14 39:19 111:2 152:25 176:2 213:14 224:3,4 231:19 238:2 248:15 252:7 sets [2] 213:20 252:11 setting [6] 185:18 191:8 198:3 205:19 218:13 308:18 several [6] 6:17 70:22 70:23 100:15 106:14 138:7 sewing [1] 265:9 shall [1] 299:2 shallow [2] 51:16 105:4 Shanahan [5] 162:9 165:2 175:14 252:22 257:6 shape [1] 206:25 shapes [2] 89:4 211:23 shaping [2] 143:18,25 sharper [1] 240:8 shed [1] 316:16 sheet [2] 178:8 298:9 Shell [3] 72:9,17 73:1 shield [1] 210:3 shift [1] 169:19 shifted [1] 138:23 shiny [1] 221:8 ship [2] 153:4,4 ships [1] 226:2 shirt [3] 221:21 276:4 278:20 short [7] 36:7,13,15 54:20 55:21 231:11,20</p>	<p>shortened [2] 158:11 210:4 shorthand [1] 79:22 shorts [2] 221:20 245:2 shoulder [3] 176:19 197:19 266:24 show [13] 4:25 10:7 42:18 163:8 166:8 198:25 243:21,22 244:22 245:20 247:6 250:18 266:1 showed [4] 74:10 142:25 154:12 256:1 showing [3] 128:9 168:7 311:5 shown [5] 84:25 85:23 231:11 268:24 271:16 shows [1] 18:12 shut [1] 108:5 shy [1] 149:14 sic [1] 255:2 side [34] 10:18 15:1,6,14 15:17 16:8 17:20 20:15 20:16 21:22 22:7,11 30:6 30:24 35:8 45:5,5 61:16 66:2 104:21 123:8 173:14 177:15 178:25,25 188:21 192:7 196:24 199:13 208:11 263:9,10 290:1 293:6 side-floating [8] 17:23 19:4 20:17 21:15,24 33:25 35:15,22 sides [4] 2:12 25:6,10 200:9 significant [14] 13:5 20:7,21,23 84:25 85:24 164:21 273:15 295:13 317:23,24,25 318:1,2 significantly [1] 38:18 signs [1] 104:13 Sikorsky [2] 25:24 181:24 similar [13] 11:18 12:14 24:23 31:24 51:13 112:16 116:23 153:15 198:8 202:15 208:8 296:23 314:19 similarly [1] 59:12 Simoës [1] 155:1 simple [6] 5:12 21:10,17 229:6,16 293:11 simply [6] 26:8 168:25 202:1 209:2 245:14 287:21 simulate [2] 75:1 194:1 simulated [3] 153:17 191:20 290:15 simulation [4] 185:1 192:8 194:22 198:6 simulator [8] 18:6 44:1 44:12 45:6 51:18 167:7 167:21 184:6 simulators [1] 44:9 single [7] 177:19 184:9 188:14 189:22 211:2 289:14,15</p>	<p>singled [1] 245:23 sink [1] 166:14 sinks [1] 32:21 sit [11] 40:19 44:21 143:13 215:2 234:24 248:19,23 249:20 250:5 250:20 315:20 sits [1] 11:23 sitting [15] 19:14 20:14 45:4,22 75:9 152:1 169:5 178:14,24 182:1 196:23 197:4 235:14,16 249:12 situation [35] 36:19,22 39:14 41:1 61:2 85:21 98:21 103:2 105:7 124:15 162:14 170:12 172:14 177:6 178:11 183:19 184:4,10,14,18 185:2,13 191:3 195:16,21 218:14 219:19 223:9 225:15 231:6 235:7,25 258:19 271:21 281:23 situations [4] 107:18 109:18 144:25 177:9 six [23] 6:7,15,16 77:24 79:18,20 80:3,7 88:22 163:11 180:9,13 202:13 203:1,6 219:12 252:1,4 252:9,12 292:12,12 294:23 six-hour [2] 300:12,19 size [42] 43:6,10,12,23 43:25 57:12,15 58:11,13 58:16 76:24 88:8,9,15 90:2 140:11,11,17 141:6 144:16 177:22,25 178:2 178:8,12 186:8,10 206:24 208:8,8 209:13 214:8 219:9,10,10 220:10,17 223:10 274:19 280:18 281:19 309:1 sizes [13] 43:17,18 44:2 76:21 88:22 89:12 142:8 144:11 211:20 219:12 297:24,25 298:7 sizing [9] 57:8,10 58:1,3 88:3 280:15 281:7,13 297:21 skill [11] 190:1 199:19 213:14 218:24 219:2 224:3,4 248:15 252:7,11 317:8 skills [7] 52:25 109:20 111:8 189:20 196:9 197:8 317:1 skillset [12] 151:22 155:16 171:24 183:17 191:8 196:14,18 199:8 199:15 271:20 310:17 316:9 skillsets [1] 272:7 skin [21] 143:12,16 214:1 214:2,5 246:9,11,13,22 246:23,24 247:10,11 276:2 277:10,14,16 278:17,18,21 317:24 skip [1] 317:17 sled [1] 261:20</p>	<p>sleep [1] 244:2 slept [1] 250:19 slid [1] 188:20 slide [19] 4:5 6:12 7:24 9:25 10:7 15:2 17:16 41:2 47:1 49:23 158:12 158:15 169:25 188:17 190:18 204:6 235:24 237:13 248:7 slides [3] 193:9 237:5 251:13 slightest [1] 288:10 slightly [11] 2:19 11:20 84:10 108:15 126:1 128:14 163:14 178:7 201:4 265:13 293:6 slimming [1] 117:23 slow [3] 35:5 168:22 170:19 slowed [2] 23:17 35:3 slowing [1] 34:25 small [32] 25:12 47:16 74:2 77:12 89:2 145:5 147:14 148:16 153:25 156:22 189:2 200:5 218:8 220:17 235:15 249:6,10 257:2 260:12 265:6 266:18 274:19,20 277:8 280:23,24,25 281:19,20 288:7 291:2,3 smaller [7] 97:4 105:4 140:21,24 220:2 274:14 274:18 smallest [1] 220:3 smart [1] 113:17 SMS [1] 227:12 snag [3] 207:1 222:17,22 snagging [3] 263:25 264:4,20 snoring [1] 317:12 snow [1] 239:21 so-called [2] 18:9,11 socks [1] 245:2 sole [1] 223:23 solicitor [1] 139:16 solution [5] 35:16 36:8 36:16 302:14 315:3 solve [1] 173:1 someone [16] 77:18 93:1 118:17 134:23 135:3 169:11 184:3 185:5 191:5 232:15 242:3 247:2 258:10 262:24 267:11 304:1 something's [2] 235:1 236:24 sometime [1] 126:21 sometimes [7] 144:15 226:7 233:10 294:6,8 295:7,8 somewhat [5] 70:16 85:1 94:5,7 187:1 somewhere [8] 54:14 76:21 169:6 218:9 226:4 236:11 262:2 267:23</p>	<p>Sooley [1] 320:11 soon [4] 167:24 244:3 266:14 317:13 sorry [10] 23:4 50:14 51:24 63:7,25 183:9 202:14 217:23 218:1 285:22 sort [83] 17:2 24:13 35:8 35:9 38:20 41:14 48:19 76:15 77:20 85:9 108:7 110:19 119:13 124:2,3 130:7 149:13 152:8 154:20 160:6 169:2,4 174:9 189:14 195:17 196:1,6,13 198:13 199:13 201:7 206:14,17 207:8 208:6,21 211:20 215:9 215:22 216:2 218:20 219:7 220:18 221:13 227:4 229:18 231:17 232:19 233:4,23 234:6 236:4,13,15 237:14,23 240:16 241:2,21 245:23 252:15 253:5 258:2 264:19,21 265:5,9,17,17 265:22 267:2,19,24 292:1 292:2 296:24 297:22 308:1 313:8,9 315:3 316:15 317:14 sorts [2] 104:3 184:17 sounded [1] 320:7 sounded [1] 317:13 sounds [3] 198:13 199:10 221:7 sources [1] 157:12 space [6] 17:3 175:23 187:18 257:1 260:3 279:16 speak [10] 60:13,19 62:8 81:16 214:22 232:18 247:13 284:3,8 289:21 speaking [3] 33:13 60:7 61:6 spec [6] 116:3,13,17 125:23 129:10,18 specialists [1] 228:24 specialty [1] 54:2 specific [11] 23:20,21 38:25 43:16 44:10 47:14 105:12 106:19 118:13 125:20 302:14 specifically [14] 35:20 103:10 106:6 109:13,15 117:8 142:1,5 156:20 159:13 169:23 171:6 309:17 314:24 specifications [3] 117:6 124:23 300:8 specifics [1] 100:23 specified [1] 134:21 specs [3] 133:20,22 134:3 spectrum [1] 309:5 speed [1] 238:23 Spencer [24] 63:22 64:1 64:6 139:8,13,14,16,22 140:16 141:1,9,17,21 142:6,23 143:4,10,19</p>
--	--	---	---	--

<p>144:1,19 145:7,11 211:8 255:7</p> <p>spend [7] 5:13 124:15 226:6 230:23 232:5 297:1 302:2</p> <p>splash [2] 120:7 222:5</p> <p>splashing [1] 119:20</p> <p>split [2] 27:4 56:1</p> <p>splitting [1] 27:3</p> <p>spoke [1] 166:4</p> <p>spoken [1] 35:10</p> <p>spot [6] 113:6 172:15 236:7 266:8 306:9 313:8</p> <p>spouse [1] 1:18</p> <p>spouses [1] 1:17</p> <p>spray [18] 119:7,8,10 120:5,9,15,19,21,23 121:2,14,15,21,25 123:3 123:8,14,24</p> <p>St [8] 148:21 288:21 294:6 295:19,21,22 320:5 320:9</p> <p>stability [10] 4:13 5:17 8:15 10:9 11:22 12:15 13:3 25:13,16 79:11</p> <p>stable [6] 6:3 11:6 15:23 16:9 24:24 25:8</p> <p>staff [1] 104:12</p> <p>stage [20] 107:25 154:17 160:9 187:10 199:25 211:2,19 212:6 213:12 214:10 227:16 230:9 231:7 232:17 250:2,5 251:20,23 267:24 286:2</p> <p>stages [2] 105:3 244:15</p> <p>stairs [1] 60:17</p> <p>stamp [39] 63:15,16 145:11,14 167:11,13 255:1,3 282:20 283:15 283:19,25 284:18 285:7 285:19 286:9,16 287:5 287:11,18,25 289:20 290:5 291:7,12,25 292:14 293:19 294:17 295:2,17 295:25 296:5,21 297:10 297:17 298:3,12,17</p> <p>stand [4] 113:19 262:17 283:13 309:9</p> <p>standard [76] 9:4 19:23 21:21 31:7,12,21 32:9 32:12,14 45:18 71:20,25 71:25 75:17 86:16 88:16 94:20 114:11,14,18,21 114:21,22 115:7,17,18 115:21,22 121:22 122:6 122:8,10,24 123:3 125:22 125:23 126:4,9,17 127:22 127:25 128:10,12,13,16 128:20,25 129:6,22 137:6 138:21 144:21 182:7,21 186:20 206:12,14 210:24 212:25 213:1 214:6 222:8 222:8 224:9,12,16,16,22 228:9 229:25 233:2 273:5 302:17 303:1,2 312:18</p> <p>standardization [1] 210:19</p>	<p>standardized [1] 220:16</p> <p>standards [48] 37:25 50:1,5,11,25 51:9,10 89:6 94:18 114:7,9 115:14,16 116:4,12,13 116:14 117:4,5,9,18,20 117:21 125:20 127:1,2,8 132:15 133:4 158:11 182:21 184:1 200:16,17 204:17 205:18,21 209:12 209:15,16 210:20 222:13 224:5 227:11 232:22 233:15 261:15 273:5</p> <p>standing [6] 104:21 152:16,24 153:6 167:3 168:3</p> <p>stands [2] 90:14 313:22</p> <p>Stanfield's [1] 125:2</p> <p>Stapes [1] 261:18</p> <p>starboard [4] 178:22,25 188:21 196:24</p> <p>start [26] 18:17 36:3 85:20 112:6 141:4 149:6 150:15 151:14 199:24 205:20 207:2 212:22 220:3 221:24 222:3 238:23 241:9,11,12 248:24 253:18 261:24 265:15 267:18 307:7 310:19</p> <p>started [13] 8:9,16 18:3 38:14 69:3 70:17 146:4 147:1 228:25 229:2 241:6 253:16 272:22</p> <p>starting [2] 38:20 52:7</p> <p>starts [4] 210:18 218:12 269:19 270:11</p> <p>state [21] 5:23 6:6,7,15 7:11 12:25 13:2,5 69:17 79:9,17,23 80:3,4,7,13 80:15 83:16 96:8 207:20 283:21</p> <p>statement [2] 140:2 256:15</p> <p>statements [1] 127:4</p> <p>states [10] 5:25 6:2 29:3 80:23 120:10 123:12,13 126:23 127:18 138:2</p> <p>static [1] 61:14</p> <p>stations [1] 2:23</p> <p>statistically [1] 318:1</p> <p>statistics [4] 159:6,14 160:17,20</p> <p>stay [6] 8:25 9:23 238:25 297:8,8 301:14</p> <p>stayed [1] 6:17</p> <p>stays [2] 166:17 294:1</p> <p>steering [1] 184:24</p> <p>stem [1] 228:11</p> <p>stems [2] 221:13 234:20</p> <p>Stenna [1] 279:3</p> <p>step [8] 31:6 37:9 201:12 201:12 215:1 230:12 290:17 308:21</p> <p>step-wise [1] 201:10</p> <p>steps [6] 52:24 210:25</p>	<p>211:4 227:8 250:7,13</p> <p>stick [6] 153:12 159:19 170:4 218:15 236:6 265:17</p> <p>sticks [1] 267:1</p> <p>still [26] 9:25 13:10 16:19 19:3 21:17 22:18 32:11 36:21,22 52:21 100:9 119:19 144:13 177:11 214:8 225:11 229:12 238:15 270:9 279:4 302:1 304:4,7 317:7,9,12</p> <p>stipulation [1] 186:3</p> <p>stood [1] 72:1</p> <p>stop [5] 15:14 36:20 60:23 78:22 131:17</p> <p>stopped [1] 243:25</p> <p>stories [1] 104:4</p> <p>straight [1] 201:3</p> <p>strange [2] 248:25 258:4</p> <p>strap [2] 249:2,21</p> <p>strapped [1] 244:5</p> <p>straps [3] 208:7,9 210:1</p> <p>strategies [1] 39:12</p> <p>strategy [1] 59:14</p> <p>Street [1] 320:5</p> <p>stress [24] 47:1,4,8,12 47:15,18,22 48:2 54:9 76:11 100:25 103:23 104:6,13 105:25 106:19 106:23 107:6 135:13 216:3 307:23 315:23 316:2,8</p> <p>stressed [1] 199:11</p> <p>stresses [1] 102:8</p> <p>stressful [3] 47:11 55:2 76:10</p> <p>stretch [1] 174:16</p> <p>stretching [1] 208:6</p> <p>Strickland [3] 62:19,20 254:20</p> <p>strike [15] 12:7 103:8 173:7 174:1,20,22 175:4 175:9,14,16,22,24 176:4 176:21 294:14</p> <p>strikes [1] 88:6</p> <p>stroke [3] 207:2 222:5 264:2</p> <p>strokes [2] 172:1 259:16</p> <p>stroking [9] 74:8 171:3 171:5 191:23 194:8 198:9 259:12 261:1,9</p> <p>strong [2] 56:14 166:10</p> <p>struck [1] 133:20</p> <p>struggled [1] 258:6</p> <p>struggling [1] 109:23</p> <p>students [1] 104:21</p> <p>studied [2] 113:25 309:17</p> <p>studies [18] 4:1 24:21 28:7 33:3 66:6 94:24 118:17 136:11 137:5,9 137:13 138:13 252:22 273:12 278:12 310:8</p>	<p>313:14 318:7</p> <p>study [19] 18:2 19:12 23:4,20,21 68:12 85:23 111:3 155:11 180:18 221:14 308:10,22 314:23 315:8 316:8,18,19,22</p> <p>studying [1] 302:16</p> <p>stuff [1] 247:7</p> <p>style [6] 177:3 182:1 184:12 191:23 194:8 272:15</p> <p>styles [3] 83:3 186:13 264:10</p> <p>subject [6] 39:1 88:21 89:12 150:4 273:13 302:13</p> <p>subjective [1] 83:24</p> <p>subjects [13] 10:3 18:17 19:20 21:7,14,23 56:1 86:14 88:22,25 89:7 95:2 152:8</p> <p>submerge [1] 90:21</p> <p>submerged [6] 9:19 69:9 73:20 89:22 94:25 273:13</p> <p>submersion [4] 20:8 50:8 52:16 53:7</p> <p>submit [1] 32:11</p> <p>subscribe [2] 98:14 196:1</p> <p>subsequent [2] 188:11 270:24</p> <p>subsets [1] 183:21</p> <p>such [14] 3:9 21:11 29:10 31:8 50:12 75:8 103:1 132:18 133:5 171:2 172:19 231:8 288:5 289:16</p> <p>Sue [1] 248:16</p> <p>suffers [1] 301:20</p> <p>sufficient [4] 25:14 31:14 91:6 111:1</p> <p>sufficiently [1] 28:5</p> <p>suggest [5] 165:2 256:10 276:18 278:3 280:12</p> <p>suggested [2] 103:19 232:12</p> <p>suggesting [8] 77:19 98:6 172:16 195:9 199:8 276:23 280:21 304:19</p> <p>suggests [2] 38:18 162:14</p> <p>suit [219] 2:2,3 48:7 49:6 55:13,14,19 56:3,11,21 57:13,15,17 58:8,13 81:17 83:11,14,17 84:14 84:18 86:2,11,20 87:2,8 87:9,11,12,20,21 88:7,9 88:17,21 89:14,19,20 90:1,2,22 92:14,19,19 92:23 93:5,6,20,22 94:3 94:18 96:22 97:11,15 98:12 99:10 112:15 113:22 114:9 115:12,17 115:18 117:21 122:7,8,9 123:1,2 125:3,9,10,10 125:12,18,22 126:20 128:11,13,16,19 129:5</p>	<p>129:13,15,16 134:12,13 134:14,15,18 139:24 140:4,8,18,21,24 141:6 141:12,22 142:7,10,16 143:6,12 144:4,16,21 181:19,20 204:20 205:2 205:3,9 206:6,8 207:9 207:13,17 208:2,5 209:7 209:24,24 210:15,23 211:3 212:24 213:3,9,13 213:19 214:5 216:23 217:2,5,6,9,10,10 218:16 219:12,19 220:4,16,23 221:4 222:3,18 223:2,9 223:10,17,21 224:25 225:3,10,23 236:6 244:2 263:9 264:24 265:8,15 265:19 266:22,24 273:6 274:6,24 275:18 276:4 276:19 277:3 278:11 281:1,3,19,21,24 282:21 286:20,20 287:8 289:17 289:23,23 290:23 291:20 291:22 292:5,6,7,9,10 292:17 293:8,10 294:9 294:15 296:1,12,15,25 297:1,13,20,21 298:6,10 299:19 300:12,23 303:9 305:6 307:17,19 316:21 316:25 317:6 318:15</p> <p>suit's [1] 291:14</p> <p>Suite [1] 320:5</p> <p>suits [96] 1:21 49:4 55:11 55:23 56:15 57:8,10 66:8 83:10 85:5 89:16 92:9 92:23,24 95:9 96:5,17 112:8 113:7,8,11,14,19 114:12,15 116:20,25 117:2,19 118:5,15 120:16 122:12 124:23 126:9,10 129:12,21,24 130:1,4,5 130:5,10,11 131:4,4 133:21,21 135:23 140:1 140:2 142:25 143:22 145:1,4 158:20 205:16 205:16,20 206:12 207:15 211:12,24 215:23 216:13 216:15,25 218:22,22 219:25 220:13,14 221:24 221:24 274:12 276:17 278:17 281:17 282:14,25 283:16 286:24,25 287:1 291:19 299:9,13 300:8 304:22 305:3 311:13,22 312:21 314:17 318:14</p> <p>summer [5] 56:24 214:13 245:2 276:11,11</p> <p>sun [1] 217:16</p> <p>sun's [1] 216:6</p> <p>Suncor [2] 63:8 92:7</p> <p>sunlight [1] 118:22</p> <p>Super [9] 7:1,4,7 178:6 178:19 192:15 193:6 194:4 196:16</p> <p>superimpose [1] 175:19</p> <p>superseded [1] 115:3</p> <p>supplied [1] 125:11</p> <p>supply [1] 92:8</p> <p>supplying [2] 113:11</p>
---	---	--	---	---

<p>126:4 support [4] 9:7 33:15 119:17 219:5 supported [1] 119:18 supporting [1] 318:7 suppose [4] 91:20 118:17 292:11 306:11 supposed [2] 165:11 259:16 surface [25] 10:1 15:18 97:25 99:11 166:12,17 168:19,24 179:13 188:25 189:2 214:2 217:14 246:23 260:7 264:24 266:13,15,21,25 270:23 271:9,23 272:4,6 surfaces [1] 98:3 surprise [3] 121:7 125:23 134:2 surprised [3] 123:2 127:7 318:12 surprising [3] 22:1,2,4 survey [1] 101:13 survivability [4] 163:17 168:13 258:21 259:1 survivable [17] 163:23 163:24 256:6,12,23 257:3 257:18,18 258:3,6,9,10 259:22 260:2,4,13,15 survival [32] 8:19 31:25 36:8 38:19 59:14 126:10 149:12,14 151:15 162:3 162:6,8,12 163:9,13,15 164:17 165:1 166:10,18 167:12 168:2 169:9 170:8 200:20 201:13 205:2 215:12 250:25 253:10,16 307:15 survive [9] 163:2 242:4 257:13 258:5,10 261:4,7 261:21 311:18 survived [2] 256:15 257:23 SUSAN [7] 1:9 64:19 67:21 100:7 111:18 136:22 139:13 suspect [7] 6:10 26:12 108:12 113:18,20 114:3 142:3 suspended [2] 22:15 91:12 suspenders [2] 93:8 210:2 swap [1] 56:7 swear [1] 262:3 sweat [4] 84:15,17,25 278:20 sweating [3] 84:14 85:21 86:1 swimmer [1] 54:25 swimming [3] 54:8,18 86:17 switch [3] 78:6 226:8 293:14 switched [1] 45:12 switches [3] 292:24</p>	<p>293:1,6 switching [1] 307:6 synthetic [1] 277:19 system [38] 28:12,15 55:14 56:9,11 66:22 67:2 135:1,4,5 169:16 207:17 208:3,16,17 227:3,12 229:2,3,4,20 230:12 238:19,20,21 239:1,6,12 240:19 241:11 242:9 243:9 245:15 253:20 263:11,17 290:15 293:11 systems [35] 8:24 9:10 10:2 14:17 28:10,16,19 30:16 65:4,22 66:17 67:14 68:14 70:18 115:12 126:20 149:12 151:15 152:14 166:24 167:1,5,6 167:12 168:6 180:23 181:14 200:20 201:13 207:6 208:15 212:20 227:13 228:10 231:24</p> <hr/> <p style="text-align: center;">-T-</p> <hr/> <p>t [1] 221:20 t-shirt [1] 245:2 tab [3] 100:19 265:20,25 Taber [176] 38:24 50:2 146:3,19 147:6,9,20,22 147:23,24 148:7,11,18 148:23 149:5,22 150:1,7 150:14,19 151:3,13 152:17,23 153:21 155:6 155:14,20 156:14,24 157:5,21,25 158:18 159:7 160:1,8,12,23 161:2,19 163:4,19 164:3,9 170:16 170:22 173:3 175:3 180:21 182:18 183:8,12 183:23 190:25 192:20,25 193:4 196:3 200:14 202:3 202:7,18,23 203:7,24 204:8,12 205:12 206:3 207:22 208:1 209:3,8 211:13,18 212:11,21 213:22 215:21 217:25 223:19 224:13,17 226:14 226:20 227:20,25 237:11 237:17,21 240:22 242:18 242:23 245:13 248:4,9 251:11 254:3,8 255:20 255:23 256:21 259:2,10 260:24 261:13 262:16,21 263:4,8,15,20 264:9 265:10 266:3,7 267:7,12 267:17 268:4,8,11,23 269:18 270:5,18 271:2,7 271:15 272:13,24 273:8 273:17,21 274:1,9,17 275:3,20 276:9,22 277:7 277:13,25 278:8 279:5 279:10,19,25 280:5,10 281:8,14 283:10,14 284:5 287:23 297:19 299:10 307:3,5,7 308:9 309:12 309:19 310:3 311:9 312:3 312:13 313:3 314:18 315:13 316:17 319:1,7 Taber's [2] 155:23 283:6 table [5] 201:18,18 269:6</p>	<p>269:20 270:10 tables [1] 270:11 Tabor [3] 155:1 156:17 306:5 Tabor's [1] 156:9 tactile [1] 229:8 tailored [1] 87:13 tailoring [2] 143:22,24 takes [7] 28:1 53:12 78:8 181:2 238:12,15 288:17 taking [8] 23:25 60:11 62:8 89:8 149:12 156:19 227:24 280:17 tall [2] 97:14 280:19 tally [1] 201:15 tank [4] 15:9 98:16,17 98:22 tape [1] 290:23 Tara [1] 320:4 task [11] 53:4 105:23 151:5 156:15 193:17 195:12 232:24,25 270:22 297:5 316:12 tasks [12] 41:11,11 42:20 74:19 183:19 253:3 268:20,20 270:22 313:16 317:18 318:10 taxi [1] 185:6 team [1] 32:3 technical [10] 31:7,20 32:9,14 71:20,24,25 128:3 137:6 256:17 technician [3] 149:8 205:10 314:11 technicians [1] 165:6 technological [1] 269:10 technology [1] 181:7 television [1] 2:23 telling [3] 94:16 123:7 276:14 tells [1] 91:16 temperature [16] 48:3 49:1 85:22 214:16,16 218:11 225:7,8,12,13 294:1,12 301:12 317:6 317:24,25 temperatures [5] 49:7 134:10 135:19,25 315:24 templates [1] 227:14 ten [15] 34:13 61:20 92:24 121:17,18 152:5 157:10 159:14 161:8,15 164:6 221:9 247:20 256:3 295:10 tend [10] 34:20 112:14 184:15,17 231:22,23 234:16 238:18 286:25 294:7 tender [1] 23:19 tends [2] 103:23 106:17 term [13] 12:21 36:7,13 36:15,16 40:3 111:7 216:4 233:10 256:17,23 285:9,10</p>	<p>terms [73] 8:6 9:13 10:8 10:12 12:3 19:1 22:10 23:11 24:23 26:17 29:17 30:5,20 33:17 35:18 38:13 39:5 40:1 41:5,14 42:6,15,21 43:23 47:1 50:4 53:3,9 55:7,12 59:9 59:12 60:6 61:12,13 66:7 67:10 68:21 69:17 71:13 72:7,8 77:17 79:14 80:20 83:13 85:18 88:2 91:21 102:2 105:13 109:11,16 113:10 115:15 116:2 119:12 129:9 131:10 132:10,25 134:12 135:6 135:8,20,23 143:25 144:6 144:16 160:5 258:20 292:3 306:13 Terra [2] 68:7 268:14 terribly [1] 76:22 test [8] 16:18 18:16 89:6 134:24 223:9,10 240:2 314:23 tested [1] 239:25 testified [1] 124:21 testimony [4] 122:17 124:1 133:9 259:6 testing [15] 88:5,21 135:5 136:12 200:1 219:25 221:15 222:11,16,17,23 252:17 265:2 304:22 308:24 tests [1] 15:8 tethered [1] 15:5 thank [66] 1:12 37:22 62:5,13,16,18 64:9,13 64:18,21 67:17,19 93:25 99:17,19 100:3 111:12 111:14,16,20 133:18 136:18,21 139:6 145:8 145:11,18,19,23,25 147:1 149:6 156:13 164:8 242:21 254:3,9,17,19,23 254:25 255:6,14,17,19 255:22 262:6 268:3,3,7 282:3,5 284:2 298:17,22 299:1 305:12 306:23 307:5 318:19,21,24 319:1 319:1,8,10 thanks [1] 99:21 that'll [3] 96:20 222:7,7 theirs [1] 71:1 themselves [3] 36:23 60:21 109:5 there'll [1] 110:10 thereby [1] 11:22 therefore [4] 11:9 13:4 159:12 301:13 thermal [70] 55:22 56:4 84:18,22 85:12 88:5 96:6 96:7,9 133:24 135:7,13 135:23 206:9 212:16 213:21 214:4 216:2,17 216:22 217:20 225:5 242:1 243:14 245:16 246:5,6,10,15,18,20 247:10 272:18 275:1,8 276:15 277:5,17 278:14</p>	<p>286:21 291:14,21 292:3 292:15,16 293:23 299:10 299:12 301:3,7,15,19 302:1 307:17 308:24 310:12 311:6,12,16 312:6 312:21 313:4,7,12,24 315:22 316:1,24 317:22 318:8 thermally [5] 218:9,14 224:25 307:18 317:4 thesis [2] 150:5,8 they've [17] 5:16 7:15 49:6 58:12 66:18 70:23 70:24 77:11 98:22 109:6 137:25 187:21 189:7 219:22 245:1 257:22 266:19 thick [1] 278:16 thicker [1] 278:19 thickness [1] 278:20 thin [3] 78:13 89:2 278:17 thinking [11] 48:19 130:18 158:4 172:18 180:7 221:23 232:5 240:15 249:13 250:24 306:13 thinks [1] 241:1 third [9] 3:6 15:4 52:21 53:12 125:9 147:11 226:8 252:5 270:22 thought [32] 6:5 13:6 40:18 54:12 60:1 87:1 91:21 102:10 126:1 132:5 142:22 157:7 159:18,21 162:1,4 170:25 176:24 188:16 193:12 195:4 201:7 203:25 207:9 225:18 237:12 240:3,13 256:3,4 269:2 294:23 thoughts [1] 103:9 thousands [1] 186:16 three [34] 37:22,25 43:22 46:11 52:16,17,18 56:20 56:24 70:24 77:25 92:23 109:5 110:19,22 147:8 148:10 169:14,18 171:19 182:23 183:21 195:25 203:5 213:20 252:3 262:10 276:8,10,11 283:3 284:22 290:19 301:1 three-layer [1] 124:25 three/four [1] 77:19 throttle [1] 192:10 through [48] 18:24 20:16 35:13 37:19 38:8 41:14 52:19 53:12 60:1 67:8 75:25 77:12,18 105:1,9 107:17,23 108:12,16 147:13 150:6 154:22 155:8 158:25 164:12 170:15 182:4 188:23 201:12 204:19 216:7 219:22,24 221:18 229:19 229:23 234:10 235:17 244:16 247:19 248:14 249:12,22 250:1,12 295:16 310:8 317:14</p>
--	--	--	---	--

<p>throughout [6] 48:4 66:4 164:14 203:18 233:23 256:2</p> <p>throw [1] 194:21</p> <p>tie [1] 249:6</p> <p>ties [1] 46:25</p> <p>tight [3] 143:12,16 276:1</p> <p>tighten [1] 248:25</p> <p>tightened [1] 208:9</p> <p>Tim [1] 243:25</p> <p>times [16] 20:8 184:21 185:4 187:2,4,5,6 190:8 195:7,14 203:20 232:13 250:9 271:1 274:2 307:14</p> <p>tiny [1] 249:3</p> <p>Tipton's [1] 32:3</p> <p>title [3] 150:18,20 285:14</p> <p>today [20] 2:24 49:3 111:24 119:7 122:14 147:13 148:3,21 154:3 160:22 195:9 198:24 210:14 211:8 239:10 250:18,21 292:22 307:14 319:3</p> <p>toes [1] 172:11</p> <p>together [7] 3:17 128:3 134:24 135:4 169:19 289:9 315:20</p> <p>tolerances [9] 162:18 162:23 253:5 256:24 257:7 259:11 261:6 302:21 308:3</p> <p>tolerate [3] 86:1 239:6 239:12</p> <p>tomorrow [9] 155:3 282:8,19 283:8,14 299:18 306:5,25 319:10</p> <p>too [26] 11:13 39:25 47:11 49:21 59:22 83:16 97:20 99:10 106:1 170:18 173:25 220:5 221:3,11 221:11,12 222:1,9 230:23 236:23 241:4,5 264:25 267:18 281:20 305:8</p> <p>took [6] 70:3 92:25 157:10 237:24 245:25 317:3</p> <p>top [16] 6:12,23,25 15:4 18:19 91:8 97:23 175:20 180:2 182:3 191:22 201:22,23 229:17 234:21 312:17</p> <p>topic [1] 26:14</p> <p>Toronto [1] 237:23</p> <p>torso [3] 175:7,18 220:10</p> <p>total [1] 161:4</p> <p>totally [1] 9:19</p> <p>touch [4] 37:16 183:2 188:12 272:4</p> <p>touched [1] 85:7</p> <p>toward [3] 199:13 253:6 266:13</p> <p>towards [7] 41:25 75:17 82:18 98:9 99:2 119:25 136:1</p>	<p>toxic [1] 162:20</p> <p>trade-off [1] 291:8</p> <p>train [8] 67:6 151:19 182:7 184:5 186:20,22 191:5 301:9</p> <p>trained [18] 44:16 48:5 95:19 99:4 110:4 151:16 151:18 164:21,23 165:18 167:6 169:8 171:24 195:8 243:22 252:14 253:8 274:11</p> <p>trainees [2] 45:6 104:14</p> <p>trainer [3] 2:1 108:4 151:19</p> <p>training [20] 18:7,16 19:13 31:24,25 38:1,3,6 38:8,10,12,14,17,22 39:7 39:10 40:22 41:5,6,9,21 43:3 44:1,4,6,17,24 45:4 45:14,18 46:2,4,9,12,14 46:17,19,21 47:2,5,10 47:13,19,21,23 48:12,18 49:10 50:1,11,17,18,25 51:1,14,15,16 52:3,5,15 54:17,22 55:1 58:24,25 59:3,5,6,8,9 66:2,4 70:4 70:7 73:11,17 74:1 75:19 76:2,9,12,16 78:3,8,12 95:4 100:25 101:16 102:7 102:23,24,25 103:6,7,9 103:21,25 104:4,7,16 105:2,3,4,9,14,19,22 106:8,14,15,18,19,24 107:21 108:9,11,15,20 108:25 109:4,12,19 110:15,22 149:12 151:10 151:14,16,18 152:15 154:22 158:11 160:15 164:17 165:7,12,21,23 165:25 167:10 168:4 169:21 170:6 171:4 172:25 173:5 176:3 180:5 181:15 182:21 183:2,7 183:18,25 184:3,4,14 185:15,21 186:1,25 189:4 190:6,17,24 191:1,3,7 192:1 193:10 194:12 195:1 198:2,6,16,19,25 200:16,17,21 201:13 202:9 219:24 243:4,13 244:16 245:5,25 250:12 252:18 253:14,17 268:16 268:18,21 272:20,20 290:15 302:4 311:10 312:4</p> <p>transcribed [1] 320:6</p> <p>transcript [1] 320:3</p> <p>transfer [5] 35:2 116:20 183:18 185:18,21</p> <p>transferred [2] 23:14 259:14</p> <p>translate [2] 79:12 88:2</p> <p>transparency [2] 227:7 230:1</p> <p>transport [18] 24:17 29:3 38:4 53:17 59:13 60:5 62:13 80:12 126:11 138:12 165:15 185:25 227:2 254:15 285:1,16 312:19 315:1</p>	<p>transportation [1] 115:12</p> <p>transported [1] 153:3</p> <p>transporting [1] 161:10</p> <p>trap [3] 93:14 277:6,8</p> <p>trapped [6] 87:21 89:25 91:17 144:7 275:14 281:24</p> <p>trapping [3] 89:20 275:4 279:17</p> <p>traps [3] 93:12 94:9 277:2</p> <p>travel [1] 295:4</p> <p>tree [6] 220:25 221:5,6,8 221:10 262:8</p> <p>tremendous [3] 101:8 101:22,24</p> <p>trend [1] 253:6</p> <p>trends [3] 61:12 130:20 159:15</p> <p>trials [8] 18:15 19:20,20 19:21,24 31:22 32:1 38:11</p> <p>trick [1] 122:15</p> <p>tried [6] 38:16 45:10 153:7 188:22 201:22 257:6</p> <p>tries [1] 290:16</p> <p>trip [2] 122:15 293:14</p> <p>triple [1] 299:20</p> <p>trivial [1] 293:9</p> <p>troops [2] 221:16,16</p> <p>true [5] 77:4 143:9,18 281:16 320:3</p> <p>trunks [1] 86:17</p> <p>try [42] 7:18 40:20 56:25 60:23 78:24 90:16,21 122:15 157:7,11 159:15 172:14 176:10 208:21 209:25 210:2,9 214:7 218:13 220:19 222:1 231:23,23 232:2 238:24 240:2 242:10,10 246:19 246:21 251:18 256:22 265:2 266:25 267:22 282:10 289:4 294:14 301:14 314:4,6 315:1</p> <p>trying [30] 5:5 35:25 85:8 89:2 99:11 100:22 101:9 101:10 102:1 117:10 136:13 142:1 154:7 169:15 185:10 190:15 195:21 201:1 208:24 240:17 245:14,18 246:19 258:8 266:20 275:18 283:2 294:3 313:21 317:20</p> <p>tucked [1] 265:22</p> <p>tug [1] 96:6</p> <p>tugging [3] 212:16,18 316:14</p> <p>turn [11] 4:21,21 5:19 16:1,2 63:1,5 73:10 100:19 264:8 293:1</p> <p>turned [4] 16:9 17:22,25 40:10</p>	<p>turning [2] 17:24 240:9</p> <p>twenty [2] 146:14 282:6</p> <p>twice [1] 168:1</p> <p>twist [1] 292:25</p> <p>two [54] 4:5 26:25 28:7 29:8 35:11 37:24 43:21 44:22 56:20,23 78:15 84:5,7,9 86:22 92:23 94:2 109:5 111:5 116:4 119:13 130:25 131:7,11 146:18 155:2 187:24 194:3,4 195:25 197:6 200:19 202:10,16,21 203:2 205:14 225:14,22 249:19 252:3 256:13 264:10 276:11 283:3 284:24,25 285:6 290:15 292:20 295:7 304:8 315:19 316:14</p> <p>tying [1] 21:19</p> <p>type [37] 18:6 23:20 43:1 44:10 54:3 65:11,15 70:11 77:6,7 82:23 85:2 97:11 110:15 125:2 127:21 134:18 141:22 160:15 165:6 170:5,6 176:22 187:15 190:6 191:9 193:20 195:5 197:9 204:15 215:25 216:24,25 263:14,16 276:23 277:18</p> <p>types [9] 27:2 105:15 106:9 186:18 191:14 192:13 210:9 223:25 274:12</p> <p>typical [5] 34:19,24 84:2 88:17,17</p> <p>typically [6] 215:12 218:24 219:9 261:15 308:13,14</p> <hr/> <p style="text-align: center;">-U-</p> <hr/> <p>Uh-hm [19] 42:12 44:19 57:5 65:9 71:6,22 73:13 76:18 86:8 88:11 92:3 95:6,12 123:18 131:23 134:7 138:10 139:21 143:3</p> <p>UK [47] 4:12 23:14 28:21 30:23 33:13,20 35:3,19 44:2 50:4,20,22 56:18 59:16 60:9 65:13,23 70:16 72:8 73:8 82:8,9 82:13,15 84:3,5 85:5 104:3 105:17 106:4 110:9 110:12 112:16 113:3,4 114:22 120:15,20 128:14 129:4,20 130:13 142:3 145:6 269:2 271:17 314:1</p> <p>ultimate [1] 81:4</p> <p>ultimately [2] 81:1 302:10</p> <p>Um-hm [4] 26:1 101:2 112:4,10</p> <p>uncomfortable [1] 242:7</p> <p>unconscious [1] 206:5</p> <p>uncontrolled [1] 27:6</p> <p>under [21] 2:10 29:1 49:5</p>	<p>54:5 55:11,19 56:15,21 65:3 95:8 114:17 128:16 154:24 171:9 178:16 180:14,15 185:12 187:3 239:16 312:20</p> <p>undergarment [1] 125:1</p> <p>undergoing [1] 47:4</p> <p>undergrad [1] 149:16</p> <p>underneath [6] 12:16 55:23 134:19 172:2,11 213:21</p> <p>undersigned [1] 320:2</p> <p>understand [31] 14:9 37:3 58:15,16 68:15 71:19 73:15 79:17 86:11 94:15 96:4 97:19 148:2 150:12 169:12 171:13 182:15 186:11 233:13 240:18 241:15 253:23 273:2 279:2,15 280:16 292:11 302:3,5 306:2 318:18</p> <p>understandable [1] 54:14</p> <p>understands [1] 307:1</p> <p>understood [4] 10:24 112:12 115:5 140:4</p> <p>undertake [6] 37:12 39:11 41:11,12 105:12 157:3</p> <p>undertaken [8] 4:11 39:6 66:11,11 72:13 73:19 74:15,20</p> <p>undertaking [3] 48:21 52:8 119:2</p> <p>undertook [1] 47:3</p> <p>underwater [56] 1:22 2:20 5:14 9:21 11:22 19:4,23,23 20:18,20,23 21:13,22 36:23,25 39:9 43:21 51:17 54:13,24 55:1,5 77:20,25 86:16 86:19,22 90:22 95:20 97:8 105:24 119:14 151:6 151:17,22 152:14 153:17 155:12 156:16 158:10 165:22 171:20 181:16 182:20 189:8 191:20 194:2 195:6 203:12 222:15,24 223:4 252:7 271:1,12,18</p> <p>underwear [17] 125:2 213:21 218:17 245:17 246:5,6 247:2,5 272:18 275:2,23 276:16 277:6 277:17 278:10,15 311:13</p> <p>undesirable [1] 281:22</p> <p>undo [3] 196:21 223:6 249:25</p> <p>unexpected [1] 319:4</p> <p>unfortunately [1] 231:10</p> <p>uniform [2] 79:19 113:17</p> <p>uninsulated [1] 56:9</p> <p>unintelligible [3] 37:18</p>
--	---	--	--	---

<p>255:8 306:14 Union [2] 68:4 224:21 unique [2] 101:18 126:15 unit [3] 153:8 209:10 225:6 United [3] 29:3 32:24 147:3 university [6] 32:2 83:4 149:16,18 150:13 237:23 unless [5] 127:22 156:3 193:6 231:21 259:7 Unlimited [2] 320:12,14 unsafe [1] 60:12 unstable [1] 7:14 unsurmountable [2] 35:21 36:5 unsurvivable [1] 258:17 untrained [3] 164:22 165:3 169:11 unzip [1] 296:17 up [130] 2:25 6:7,15 7:15 11:20 14:24 15:17 16:5 17:9 18:14,21 19:6 24:23 25:1 27:19,25 32:8 41:17 44:12 46:12 53:5 54:4 54:18 59:2 63:19 72:13 74:21 76:22 80:3,4 81:17 82:17 83:15 85:19 87:25 88:22 89:4 93:9 96:10 98:11 99:14 100:19 104:6 104:14 108:2 109:21 110:21 114:19 117:17 122:15 128:24 130:17 131:2 137:13 138:3,20 142:9 148:18 151:3 152:25 153:6 154:12 157:14,17,24 161:22 167:8 174:6 176:2 188:15 194:9 197:19 198:25 200:6 201:8,22 204:11 207:5 208:12,13 210:4 218:14 220:24 222:19 229:12 230:19 231:19 234:17 235:12 237:5 238:3 241:16 243:21,22 244:22 245:20 247:6 250:18 253:14 256:1 262:10,17 266:9 269:9 279:12 282:7 283:15 288:11 290:21 291:3 292:10 293:1,15 294:1,1 294:18 296:6 297:12 301:22 302:17 305:6,14 307:7 308:3,7 309:9,22 309:24 310:1 314:16 upper [12] 6:4 18:14 25:6 25:14 95:25 97:2 175:6 175:18 178:5 191:17 234:6 276:20 upright [3] 6:3 7:20 15:13 upset [1] 82:11 upside [5] 40:10 171:20 185:12 195:6 223:4 useable [1] 262:15 used [28] 18:6,12 24:16 30:23 31:24 40:3 43:20 44:7 50:14 54:22,23</p>	<p>66:18,19 72:5 85:5 90:5 95:20 126:10 189:8 198:4 207:11 210:21 222:14 223:3,4 258:15 280:15 280:16 useful [1] 258:18 user [1] 72:11 uses [2] 240:25 288:16 using [24] 18:15 25:4 31:23 36:20 42:5 52:20 52:22 60:18 65:7,22 69:23 70:1,17,23,25 71:17 73:2 77:5 86:14 88:5 92:9 167:4,5 169:8 usual [1] 128:5 utilize [1] 193:22</p> <hr/> <p style="text-align: center;">-V-</p> <hr/> <p>V [1] 268:8 valuable [1] 319:6 value [16] 31:19 38:15 48:23 59:6 84:18,22 85:12 218:17 231:3 277:22 292:16 304:23 310:5 311:6 313:15 315:4 values [1] 206:11 valves [1] 266:23 variable [1] 12:3 variables [1] 44:25 variations [1] 309:11 varies [1] 56:23 various [15] 7:10 14:21 20:12 30:22 33:18 50:6 50:11,25 51:14 53:18 69:19 103:19 130:7 157:12 299:20 vary [2] 106:22 110:10 vast [1] 197:7 vastly [1] 131:6 ve [1] 262:2 vehicle [2] 184:20 185:6 ventilate [1] 188:19 venting [1] 179:2 venture [1] 246:12 versed [1] 181:15 verses [6] 158:7 163:23 164:22 167:5 168:10,12 versus [10] 67:2 184:4 185:1 201:13 217:9 218:22 232:20 235:22 260:4 277:17 vertical [3] 27:5 188:10 259:21 vessel [2] 91:5,24 vessels [1] 150:24 vest [6] 207:14,16 208:8 263:12 290:20,21 via [1] 147:2 vibrating [1] 244:6 video [1] 248:14 view [9] 13:21 39:5 45:17 76:10 98:14 146:6 212:14 297:11 319:6</p>	<p>views [1] 44:23 vigilance [1] 218:6 vigorous [1] 67:8 Viking [5] 125:11,11 133:21 292:7 298:6 Vincente [2] 237:22 240:25 Vincente's [1] 240:16 VIPs [1] 165:5 visibility [5] 287:2 288:13 289:5 290:1 296:22 visible [1] 113:22 vision [1] 288:16 visual [2] 168:18 288:21 visually [2] 184:25 217:13 vitae [1] 147:10 voice [3] 226:25 231:9 231:13 voiced [1] 231:17 voicing [1] 232:15 volcano [1] 236:10 volumes [1] 91:21 voluntarily [1] 28:22 volunteers [2] 308:15 308:20 Volvo [1] 74:9</p> <hr/> <p style="text-align: center;">-W-</p> <hr/> <p>W.S [1] 28:8 waist [1] 188:24 wait [3] 63:7 236:23 269:13 waiting [3] 155:7,9 311:25 walking [1] 60:15 wall [2] 18:15 92:25 wanting [1] 33:16 wants [2] 1:20 63:1 war [2] 96:6 153:1 warm [11] 31:23 49:5,21 83:17 135:25 216:8 226:4 244:5 293:24 294:15 304:7 warmer [2] 242:6 296:25 warning [1] 28:17 washed [1] 120:2 Washington [1] 147:2 watch [2] 1:17 159:11 watched [1] 2:7 watches [1] 80:10 watching [4] 3:2 97:13 168:3 248:13 water [93] 1:21 2:1,11 2:15 8:4 9:15 11:24 12:8 12:16,18,19,20 15:18 17:2 18:20 20:1 22:15 27:2,23 28:3 29:18,20 31:23 32:1 37:5 40:10 48:3,6,7,8,13,17,23 49:1 51:16 54:7,23 55:6,9</p>	<p>56:5,6 57:21 69:13 79:8 85:19 86:18 91:6 95:8 105:4 107:24 113:1 119:20,22 120:7 131:11 134:9 135:12 149:11 165:9 167:22 168:19 179:14 185:12 187:3 214:1,15 225:8,13 243:15 246:16,23 264:14 271:10 271:23 272:5 275:14 277:10,14,16,19 278:21 287:2 290:2,17,18,19 291:4,17 296:23,25 297:8 307:15,22 waterproof [1] 301:2 wave [6] 6:16 15:9 16:2 119:23,24 222:13 waves [9] 5:18,19,22 11:5 24:21 25:16 79:18 119:20,24 ways [2] 106:1 131:1 weapons [1] 153:11 wear [35] 48:7 55:17 56:20 112:14 116:20 142:10 207:16 213:5 214:4,11,13 216:15,25 217:1,5 220:4 225:9 243:14 246:11 249:5 278:18 280:23 286:23,25 287:7 291:21 292:7,8 301:5,15,19 307:17 311:22 312:11,20 wearer [2] 84:15 94:4 wearing [40] 49:5 56:2 57:3 58:11 83:13 93:20 93:22 94:6 95:9 113:14 113:22 124:24 136:2,2 173:20 176:19 179:6 208:7 213:13 216:12 221:20 245:16 246:5,13 247:9 265:15 276:5,15 276:16,24 279:4 299:19 303:9 304:22 311:2,7,15 311:23,23 312:6 wears [1] 296:9 weather [2] 6:8 84:15 websites [1] 230:11 week [3] 44:5 186:14 295:11 weeks [2] 136:4 283:3 weigh [2] 86:15 280:20 weight [9] 7:14 12:5 13:7 23:25 24:9 86:15,19 91:8 222:4 weighted [1] 205:1 weighting [1] 251:2 weights [1] 97:8 welcome [1] 148:19 wet [2] 11:16 311:13 whatsoever [3] 235:19 257:24 317:19 wheel [4] 174:7 184:24 229:8,17 whereas [5] 21:14 27:24 108:12 218:25 260:12 whereby [2] 33:4 211:10 wherever [1] 175:6</p>	<p>whichever [1] 53:19 white [1] 316:13 who've [2] 46:10 83:5 whole [13] 21:7 32:6 38:5 39:19 48:2 54:12 89:10 133:6 135:1 196:25 277:5 282:21 296:1 wick [5] 85:3 214:1 246:15 277:18,19 wicking [1] 277:22 wicks [3] 246:22 277:10 278:20 wide [1] 301:17 widely [1] 101:4 widow [1] 101:20 widows [1] 101:11 willing [5] 81:2 107:16 108:3 308:21,22 wind [2] 11:6 194:20 window [30] 44:22 45:9 76:1,20,21,23,24 77:13 175:10 178:6 179:1 186:8 187:4,6,6,13 188:13,17 188:18,20,23,25 193:7 196:21 222:21,21 235:15 266:9 272:12 289:2 windowns [6] 18:24 43:20 184:11 288:6,7 294:4 windscreen [1] 216:7 wing [4] 59:16 162:16 215:13 288:6 wings [1] 162:16 winter [3] 56:24 214:15 276:10 wintertime [1] 276:7 wish [2] 111:13 156:4 within [78] 5:10 15:22 17:3 18:25 19:2,15 25:14 25:18 26:14 28:23 29:4 29:4 31:11 33:8 37:19 38:21 43:3,24,25 45:6 46:16 51:6 52:5 55:15 74:1 76:11,21 78:3 83:4 83:7 86:2 89:1,1,12,20 91:24 92:24 104:13 105:19 109:16 127:16,22 127:25 128:14 129:2 155:16 162:14,18,23 175:8 176:8 181:7 185:17 187:14 197:24 198:6,18 201:18 209:11 210:20 222:12 230:24 231:20 234:12 238:10,15,22 245:19 253:5 256:25 257:7 260:2 261:2,6 262:14 280:15 303:9 310:22 without [13] 6:4 25:8 52:19 81:23 95:3 166:13 167:22 195:14 257:24 261:4 265:2 273:14 274:6 withstand [1] 258:22 witness [4] 146:2 147:8 148:3 284:5 witnesses [2] 116:1 130:3</p>
---	---	---	--	---

<p>wonder [4] 3:2 55:1 79:11 200:5</p> <p>wondering [9] 69:15 82:2,7 88:15 102:21 146:5 227:24 237:4 308:4</p> <p>word [5] 95:2 117:16,17 189:21,21</p> <p>worded [1] 53:18</p> <p>words [1] 317:15</p> <p>wore [2] 113:19 224:24</p> <p>workable [1] 109:22</p> <p>worked [4] 38:8 125:14 257:20 273:24</p> <p>worker [8] 81:22 84:3 141:13,14,23 210:15 211:11 214:18</p> <p>workers [9] 48:5 82:15 101:15 102:7 106:11 144:5 154:12 213:18 279:3</p> <p>workforce [12] 44:15 47:17 48:25 56:19 61:23 67:15 77:5,7 130:22 131:4 178:9 234:10</p> <p>works [2] 246:17 295:15</p> <p>workshop [5] 9:9 30:6 37:4 69:1 71:8</p> <p>world [30] 34:19 61:16 64:2 69:19 141:24 151:18 157:10 159:25 160:2,4 165:19 170:11 178:1 183:2,6,9,19 184:4 185:17 186:12 189:6,6 191:3,8 194:12 197:23 207:15 236:11 245:6 256:2</p> <p>worldwide [2] 50:23 65:23</p> <p>worn [12] 49:3 55:10,15 55:18 86:21 112:8 117:1 134:19 138:18 223:17,18 312:20</p> <p>worry [1] 63:5</p> <p>worse [3] 61:15 296:10 296:10</p> <p>worst [1] 2:17</p> <p>worth [1] 11:4</p> <p>worthiness [13] 8:14 17:7 26:18,23 27:13 28:5 28:9,12 29:12,14,17 32:18 137:7</p> <p>wrapped [1] 188:24</p> <p>wrist [3] 57:19 210:8 220:9</p> <p>wrists [1] 57:18</p> <p>writing [1] 32:8</p> <p>writings [1] 151:9</p> <p>written [3] 86:5 103:13 124:16</p> <p>wrong [3] 59:24 61:3 78:11</p>	<hr/> <p style="text-align: center;">-Y-</p> <hr/> <p>Y [1] 234:15</p> <p>year [7] 32:15 69:2 141:10 164:6 189:10 252:2 295:13</p> <p>years [48] 23:2 31:19 34:13 35:1 36:13 38:10 41:4 46:10,11 61:13,20 70:22,23,24 76:5 82:25 109:5 110:20,22 111:5 121:17,19 138:7 149:15 152:5 157:10 159:14 161:8,15,21 162:5 163:6 163:11,11 189:9 203:1,1 203:6 221:2,9 244:23,24 244:25 252:3,3,3 256:3 261:21</p> <p>yellow [3] 112:23 113:7 286:23</p> <p>yesterday [7] 1:19 9:12 27:3 30:3 49:3 90:12 294:19</p> <p>yesterday's [1] 1:14</p> <p>yet [9] 22:12 71:19 78:6 149:20 150:6 160:9 241:20,22 256:13</p> <p>York [1] 239:25</p> <p>yourself [15] 97:21 98:8 99:2,11,11,15 120:4,6 185:8 204:2 243:16 248:12 250:6 296:13 302:4</p>			
<hr/> <p style="text-align: center;">-X-</p> <hr/> <p>X [3] 136:3 149:7 234:15</p>	<hr/> <p style="text-align: center;">-Z-</p> <hr/> <p>Z [1] 234:15</p> <p>zipped [1] 83:15</p> <p>zipper [3] 210:3,4 296:17</p> <p>zipping [1] 41:17</p> <p>zone [3] 312:22 313:4,12</p> <p>zones [1] 313:25</p>			